

UNITED STATES OF AMERICA

OFFICE OF ENERGY EFFICIENCY AND RENEWABLE ENERGY

PUBLIC MEETING

SUSTAINABLE DESIGN STANDARDS

FOR FEDERAL BUILDINGS

U.S. Department of Energy  
1000 Independence Avenue, SW  
Washington, DC 20585  
Room 8E-089

Wednesday  
July 28, 2010

Chair:

Cyrus Nasser  
Department of Energy  
(FEMP)

Facilitator:

Jim Raba  
Department of Energy

Participants Identified:

Mark Ames  
American Society of Heating, Refrigerating and Air-  
Conditioning Engineers (ASHRAE)

Margo Appel  
US Department of Energy (DOE)

Todd Apple  
Dupont

Tim Ballo  
Earthjustice

John Barry  
International Union of Operating Engineers National  
Training Fund

Allen Blakey  
The Vinyl Institute

Nadine Block  
Sustainable Forestry Initiative

Saralyn Bunch  
US Department of Energy (DOE)

Chris Calamita  
US Department of Energy (DOE)

Matthew Carlson  
Sunnovations, Inc.

Emma Cheuse  
Earthjustice

Ryan Colker  
National Institute of Building Sciences (NIBS)

Keith Cook  
Philips

Catherine Fairlie  
US Air Force

Jonathan Feldman  
Wellford

Saroya Follender  
US Air Force

Melissa Gallagher-Rogers  
US Green Building Council (USGBC)

Robert Glowinski  
American Wood Council

Ami Grace-Tardy  
US Department of Energy (DOE)

Nora Grojean  
Northrop Grumman

William Hall  
Winston & Strawn, LLP

Mark Halverson  
Pacific Northwest National Laboratory (PNNL)

Dain Hansen  
International Association of Plumbing and Mechanical  
Officials (IAPMO)

Erica Harkins  
US Fuel Cell Council

Melissa Hockstad  
Society of the Plastics Industry (SPI)

Harry Indig  
US Department of Energy (DOE)

David Karmol  
International Code Council (ICC)

Richard Kidd  
US Department of Energy (DOE)

Tanya Lawrence  
Northrop Grumman

Brian Ledgerwood  
International Trade Administration

Michael Lubliner  
Washington State University

Robert Lucas  
Pacific Northwest National Laboratory (PNNL)

Ross Montgomery  
ASHRAE

Cyrus Nasser  
US Department of Energy (DOE)

Justin Neumann  
National Electrical Manufacturers Association (NEMA)

Kevin Ott  
Flexible Vinyl Alliance

Graham Parker  
Pacific Northwest National Lab (PNNL)

Douglas Read  
ASHRAE

Mark Rossolo  
Greenguard Environmental Institute

Randal P. Schumacher  
Schumacher Partners International, LLC

Erin Shaffer  
Green Building Initiative

John L. Stanley  
TRANE

Louisa Stetekluh  
Osbourne Books

Mike Thompson  
TRANE

Luci Vallejo-Mastrianni  
International Code Council (ICC)

Ellen Vaughan  
Environmental and Energy Study Institute (EESI)

Drew Vogt  
N. H. Yates & Co., Inc.

Meg Waltner  
Natural Resources Defense Council (NRDC)

Rick Weiland  
International Code Council (ICC)

Sara Yerkes  
International Code Council (ICC)

I N D E X

<u>AGENDA ITEMS</u>	<u>PAGE</u>
Welcome, Mr. Raba	7
Introductions	9
Opening Remarks, Richard Kidd	13
Agenda Review, Mr. Raba	15
Overview of Sustainable Design Standards For Federal Buildings Notice of Proposed Rulemaking, Cyrus Nasser	20
Stakeholders' Statements	38
Closing Remarks	120

P R O C E E D I N G S

1

2

9:07 a.m.

3

4

5

6

MR. RABA: Well, good morning and welcome again to the Department of Energy to today's public meeting on Sustainable Design Standards for Federal Buildings. Let's get started.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

Today's meeting is important because the Department would like to hear your comments and your views as it's related to sustainable design standards for federal buildings. The purpose of today's public meeting is two-fold: to provide an overview from departments as to proposed rulemaking that would revise these performance standards in construction of new federal buildings and major renovations of federal buildings and generally the proposed standards to establish certain sustainable design requirements for new federal buildings and renovations to federal buildings. But equally important is the input that we gather from you, interested parties, gathered here today and in your written comments that you wish to submit. And the Department of Energy needs to hear from you any comments, information, and data that you provide would be most helpful and most appreciated.

24

25

So, moreover, we don't have time to solve the issues today, but we intend to listen to all the views,

1 gather the facts, make clarification as needed -- the  
2 rulemaking process takes time, but DOE strives to  
3 ensure that all comments are fully considered.

4 I'm Jim Raba and I will be facilitating  
5 today's public meeting. I am your neutral servant.  
6 That is, I will not evaluate or contribute any of my  
7 own ideas. I will try to keep us on task, on focus and  
8 give everybody the opportunity to speak. Kind of  
9 shepherd the process, if you will. And I see some  
10 familiar faces and some new faces certainly. So by a  
11 show of hands how many are here for the first time?

12 (Showing of hands.)

13 MR. RABA: I see a majority of hands, for the  
14 record. So this is a good time then for introductions,  
15 if you would, please. Please state your name clearly  
16 and the organization that you represent or with which  
17 you are affiliated.

18 We are making a transcript of today's public  
19 meeting and that will be available later on. So if you  
20 would each go around the room in turn. As you see  
21 before you, at the tables, microphones. The green  
22 light is on, so snuggle up to the microphone. Also in  
23 the back we have standing mikes back there. Again, in  
24 turn, please step to the mike, speak your name clearly  
25 for the record and the organization or company that you

1 represent here today.

2 And later during the day you will receive a  
3 copy of the attendance list of all who have registered  
4 for the meeting and hence the business cards you  
5 dropped off at the reception desk. So let's go around  
6 the room at this time, starting here.

7 MR. NASSERI: Cyrus Nasser, Project Manager,  
8 DOE, Federal Energy Management Program.

9 MR. KIDD: Richard Kidd, Program Manager of  
10 the Federal Energy Management Program.

11 MS. APPEL: Margo Appel, Department of Energy  
12 in the Building Technologies Program.

13 MR. CALAMITA: Chris Calamita with the  
14 Department of Energy's Office of General Counsel.

15 MS. GRACE-TARDY: Ami Grace-Tardy with the  
16 Department of Energy, Office of General Counsel.

17 MR. MONTGOMERY: Ross Montgomery, ASHRAE,  
18 Vice President.

19 MR. BLAKEY: Allen Blakey with the Vinyl  
20 Institute.

21 MR. APPLE: Todd Apple, Director of  
22 Government Programs for the Dupont Company.

23 MR. THOMPSON: Mike Thompson with  
24 Manufacturer Ingersoll Rand representing the companies  
25 Trane, Thermal King, and Huspin which are all owned by

1 Ingersoll Rand.

2 MR. OTT: I'm Kevin Ott with the Flexible  
3 Vinyl Alliance.

4 MR. HALL: Bill Hall from the law firm of  
5 Winston and Strawn on behalf of the North American  
6 Coalition on Green Buildings.

7 MR. WEILAND: And I'm Rick Weiland with the  
8 International Code Council.

9 MR. RABA: In the back, please, first row  
10 start.

11 MR. STANLEY: John Stanley, Ingersoll Rand  
12 representing TRANE.

13 MR. RABA: Thank you.

14 MS. HARKINS: Erica Harkins, U.S. Fuel Cell  
15 Council.

16 MR. RABA: Okay. Thank you.

17 MR. NEUMAN: Justin Neumann, National  
18 Electrical Manufacturers Association.

19 MR. COOK: Keith Cook, Phillips Lighting and  
20 a member of NEMA.

21 MR. AMES: Good morning, Mark Ames with  
22 ASHRAE.

23 MR. READ: Good morning, Doug Read with  
24 ASHRAE, Washington, D.C. office.

25 MS. WALTNER: Meg Waltner, Natural Resources

1 Defense Council.

2 MS. HOCKSTAD: Melissa Hockstad, SPI, The  
3 Plastics Industry Association.

4 MR. BARRY: My name is John Barry. I  
5 represent the International Union of Operating  
6 Engineers National Training Fund. We are the  
7 stationary engineers that operate and maintain  
8 commercial facilities including government facilities.

9 MR. COLKER: Ryan Colker, National Institute  
10 of Building Sciences.

11 MS. BUNCH: Saralyn Bunch, Building  
12 Technologies Program, DOE.

13 LTC FOLLENDER: Lieutenant Colonel Saroya  
14 Follender, Air Force Sustainment Programs.

15 MS. FARLIE: Catherine Farlie, I work for the  
16 U.S. Air Force Civil Engineer.

17 MS. LAWRENCE: Good morning, Tanya Lawrence,  
18 U.S. Air Force Civil Engineers Energy.

19 MS. GROJEAN: Nora Grojean, I'm with the Air  
20 Force, Civil Engineer, Energy Branch.

21 MS. CHEUSE: Good morning, Emma Cheuse from  
22 Earthjustice.

23 MS. RALPH: Anna Ralph with Earthjustice.

24 MR. BALLO: Tim Ballo with Earthjustice.

25 MR. LEDGERWOOD: Brian Ledgerwood, U.S.

1 Department of Commerce, International Trade  
2 Administration.

3 MS. BLOCK: Good morning, Nadine Block with  
4 the Sustainable Forestry Initiative.

5 MR. LUBLINER: Mike Lubliner, Washington  
6 State University Energy Extension Program.

7 MR. GLOWINSKI: Robert Glowinski, American  
8 Wood Council.

9 MS. YERKES: Sara Yerkes, International Code  
10 Council.

11 MR. CARMEL: Dave Karnol, International Code  
12 Council.

13 MR. INDIG: (Inaudible) Harry Indig,  
14 Department of Energy, Building Technologies Program.

15 MS. RU: Ashley Ru, I'm in training for the  
16 NMSA.

17 MR. FELDMAN: John Feldman with Welfare to  
18 Energy on behalf of Calstar Products.

19 MR. RABA: Back here.

20 MR. LUCAS: Robert Lucas, Pacific Northwest  
21 National Laboratory.

22 MR. HALVERSON: Mark Halverson, Pacific  
23 Northwest National Laboratory.

24 MS. VALLEJO-MASTRIANNI: Luci Vallejo-  
25 Mastrianni, International Code Council.

1 MR. RABA: Did everyone have a chance?

2 Well, thank you, you're all going to  
3 Hollywood.

4 (Laughter.)

5 MR. RABA: We have some opening remarks from  
6 Mr. Richard Kidd.

7 OPENING REMARKS

8 MR. KIDD: Good morning, everyone. Thanks  
9 for coming today. We appreciate so much interest  
10 across the spectrum from private industry, academia and  
11 the various NGO interest groups. I would like to just  
12 briefly introduce -- put today's activity into context,  
13 if you will.

14 The proposed rulemaking under consideration  
15 today grows out of some of the statutory requirements  
16 contained in ESA of 2007. But all should understand  
17 that it's also occurring in the context of Executive  
18 Order 13514 which was signed by President Obama on  
19 October 5<sup>th</sup>, the Executive Order Federal Leadership in  
20 Environmental Energy and Economic Performance.  
21 Contained in that Executive Order is extensive  
22 reference to the guiding principles of federal  
23 leadership in higher performance and sustainable  
24 buildings. The Executive Order establishes greenhouse  
25 gas reduction as an integrating metric for federal

1 performance going forward. Be that performance in  
2 buildings, in fleet operations, in waste management,  
3 and this is linked to many of the other ongoing  
4 activities across the federal government as well as  
5 statutory requirements.

6 Today's proposed rulemaking will shortly be  
7 followed by a complementary activity on fossil fuel  
8 reduction in federal premises which is also called for  
9 by EISA and will be coming out shortly.

10 So I want all to understand that this is not  
11 a stand-alone activity but it's part of a continuation  
12 and evolution of the federal stance where it comes  
13 towards energy efficiency and greenhouse gas reduction,  
14 a federal evolution that is contained in statute as  
15 well as Executive Order.

16 We've set this up so that hopefully everyone  
17 in the room today who wants to will have the  
18 opportunity to speak, although time could be limited.  
19 And everyone is also encouraged and many of you have  
20 submitted more detailed written testimony which we  
21 appreciate and prefer. And all of the statements will  
22 be entered into the docket and addressed as we develop  
23 the follow-on rule.

24 Going forward the Department of Energy is  
25 going to make a few changes in our rulemaking process

1 with the aim of improving the coordination with some of  
2 the appliance and building standards that are also  
3 under development. So what's going to happen is that  
4 going forward the Building Technologies Program which  
5 is well represented here today will take over the final  
6 revisions and development of this rule as well as other  
7 facilities-related rules that apply in the federal  
8 sector while FEMP will continue to provide the  
9 coordination and agency support and outreach to the  
10 federal agencies that have such a vested stake in those  
11 rules and who will eventually have to implement them.

12 If there are any questions for me, I'm happy  
13 to take them now, otherwise we're not too far behind  
14 yet and we're only three or four minutes behind and  
15 maybe we can quickly turn over to our moderator and get  
16 back on schedule.

17 Again, thanks, everyone, for coming.

18

19 Introduction and Agenda Review

20 MR. RABA: And thank you. So let's run  
21 through today's agenda and talk about some ground  
22 rules, housekeeping matters and go straight into the  
23 overview of sustainable design standards for federal  
24 buildings. You should have a copy of today's agenda  
25 and other informative materials with you.

1           I understand that this information and the  
2 presentation slides and transcript will be made  
3 available on the DOE Federal Energy Management  
4 Program's website. Typically the website will have the  
5 transcript up there in about ten days to two weeks  
6 following the public meeting here today.

7           So, look at the agenda, it's pretty  
8 straightforward really. We have an overview, a  
9 presentation, we'll see how that goes and maybe take a  
10 break if there's time, depending on the flow of how  
11 today's meeting goes we're going to continue on or  
12 whatever. We'll be flexible there. Then we have  
13 comments from you, the interested parties who are here  
14 today. It is most valuable for the Department to hear  
15 your views and the information you can provide to the  
16 Department.

17           Lunchtime, more statements, and then possibly  
18 a break in the afternoon, and time for questions and  
19 answers to be sure everybody is heard, things are  
20 clearly understood and so we'll all feel comfortable.  
21 And some of the key issues you'll hear later on in the  
22 presentations initially will be fairly covered and  
23 aired and the Department will hear your views on them  
24 too. So, pretty straightforward. So we'll kind of  
25 take it step-by-step. So let's get started.

1           Questions about the agenda? Pretty simple,  
2 but we'll get into it.

3           The ground rules, we call them, well,  
4 actually they call them NORMS nowadays. These have  
5 been adopted over time. We kind of have a tradition  
6 with the Department of Energy, kind of tried and true  
7 things, keeping it flowing, get the most of our your  
8 time -- for your time. So you want to speak clearly  
9 into the microphone and say your name for the record.  
10 Keep the focus up here. And that is to please turn off  
11 your cell phones or put them on vibrate so as to not  
12 interrupt the proceedings. And if you have sidebar  
13 conversations, you're asked to limit them and if need  
14 be take them outside in the room back there or in the  
15 hallway. But keep the sidebar conversation please to a  
16 minimum.

17           Throughout listen as an ally. We're all  
18 working together for a good common purpose here. We  
19 are going to focus on issues not personalities. DOE  
20 wants to hear from you, your experiences and  
21 information and constructive comments from your own  
22 perspective on proposed parameters for sustainable  
23 design standards for federal buildings independent of  
24 any particular system. And we would ask you to limit  
25 comments about comments if you would, please.

1           And just know that it's okay to disagree.  
2       Raise your hand if you wish to speak so I can recognize  
3       you and I'll give everybody a chance. I will be  
4       queuing persons to speak, so everyone who wishes will  
5       be heard.

6           I recognize that your time is valuable and we  
7       want to keep it moving, keep up the pace. There's a  
8       lot to cover, so, please, hold questions until there's  
9       a logical break in a presentation, if you would,  
10      please.

11          And, another thing, participate. You're the  
12      reason for today's public meeting. And remember,  
13      there's still time, two more weeks, to submit comments.

14      About two weeks for written comments. And in all  
15      things, please be concise and share the air time.

16          One more thing, if I mess up, please let me  
17      know right away so I can fix it and we can move on.

18          Thank you. Any questions so far?

19          (No response.)

20          MR. RABA: None seen. Again, today's meeting  
21      is to hear all views and gather information not to  
22      solve the issues or problems.

23          Some necessary housekeeping items before we  
24      start with our first presenter. Your visitor badges  
25      and security, be sure to display them at all times in

1 the building, it's a secure area, up high so that  
2 security can see you. Remember to wear them. If you  
3 go outside the building for any reason you will have to  
4 get rescreened when you come back in again.

5 The emergency exits are either the passageway  
6 here, there are stairwells, and they lead down and we  
7 would ask that you exit on the first floor, that would  
8 be the best way out.

9 The restrooms, either end of the passageway  
10 also.

11 A place to eat, very important, there's a  
12 snack bar directly below us and a cafeteria in the West  
13 Building. You can follow folks as they go when we  
14 break for lunch.

15 Coffee breaks and lunch are approximate  
16 times. So we can take them as convenient, but not  
17 interrupt a presentation or a flow of the meeting.

18 And, again, the coffee shop is directly below  
19 on the "G", the ground floor level. The cafeteria is  
20 in the West Building. Successful way is the E  
21 corridor, you don't have to leave the building, go  
22 under the street, take the building itself. We can go  
23 over that later on when we get to that time of day.

24 Before we leave today we give you an  
25 evaluation form to fill out about the content of

1 today's public meeting, some constructive things that  
2 are helpful there for the Department to look at for  
3 future meetings.

4 If you have a laptop computer, you probably  
5 got a receipt from security when they checked it in.  
6 Make sure you show the receipt when you check it out.

7 Questions?

8 (No response.)

9 MR. RABA: Your statements today, written  
10 comments, and any supporting documents would be most  
11 helpful. Mr. Cyrus Nasserri will be the presiding  
12 officer for today's public meeting. He will give an  
13 overview of sustainable design standards for federal  
14 buildings.

15

16 Overview of Sustainable Design Standards for Federal  
17 Buildings Notice of Proposed Rulemaking

18

19 MR. NASSERI: Thank you very much, Jim. I'm  
20 fortunate to have such a loud tone of voice that I  
21 don't need any speaker. Do I need a microphone?

22 MR. RABA: For the record.

23 MR. NASSERI: Oh, I'm right next to the court  
24 reporter here.

25 Anyway, thank you very much. Richard

1 introduced basically how the program is going to be  
2 handled in the future. And also what I would like to  
3 do at this point to appreciate or thank the rulemaking  
4 team.

5 This rule, as you all know, sustainable  
6 design of Federal buildings, there are so many items  
7 and issues involved in sustainability design of  
8 buildings and it wasn't one of the easier rules to  
9 draft. But for the last year or year and a half a team  
10 of general counsel, Chris Calamita here and Ami and  
11 also we're missing policy from Office of Policy, Mark  
12 Friedrichs, and he is not here, also contributed to the  
13 drafting of this rule.

14 Also a lab, PNNL, Mark Halverson and Robert  
15 Lucas, they were very much involved and very familiar  
16 with issues of the rule that we drafted. They are also  
17 very familiar with the building codes. And I am so  
18 glad to see so many faces here that I am very familiar  
19 with and I know them, ASHRAE or ICC and all other  
20 activities.

21 What I would like to do is to go ahead and  
22 give you overview of the rule that we developed/drafted  
23 and specifically identify from the draft rule what  
24 comments and items we specifically would like the  
25 commenters to comment, again, during the comment

1 period, the last slide, you can see that you have until  
2 August 12<sup>th</sup> to comment, midnight August 12<sup>th</sup> to receive  
3 your comments and all that. And also what you say  
4 today and the transcripts of this workshop or public  
5 meeting is going to be available later on, on the  
6 website for everybody to have access and have a copy.

7 Okay. Let me go to the legislative  
8 background of this rule and also what's coming up and  
9 where we are with it right now. The legislative  
10 authority started in 1992 and that was Energy  
11 Conservation and Production Act Section 305. And the  
12 rules EAct 2005 and also Energy Independence and  
13 Security Act (EISA) of 2007 Are revisions of that rule  
14 and those are the ones specifically we're talking about  
15 ECPA and EISA, Energy Policy Act, called EAct. Both  
16 of those acts mention about sustainability of federal  
17 buildings and we will talk about that more in detail.

18 As you see here, sustainability design which  
19 the draft rule was published on the 28<sup>th</sup> of May, is the  
20 subject of this public meeting today. It was first  
21 mentioned in EAct 2005, Section 109, you all are  
22 probably familiar with and you've read it before. EAct  
23 mentioned Life cycle cost effectiveness requirement to  
24 design sustainable buildings. And also in EISA the same  
25 thing was basically mentioned but this time it was for

1 certain buildings and we talk about that during the  
2 next slides. Also addition of major renovation was  
3 added to the buildings and then in the rules we have  
4 defined what the major renovation means. And also in  
5 this rule again I should mention no mention of life  
6 cycle cost effectiveness.

7           Also two more items or areas are covered in  
8 this proposed rule today. One is the minimum  
9 requirement for green building certification systems  
10 and you all are familiar with that system such as  
11 USGBC, LEED or Green Globe, those are just two examples  
12 of this rating certification programs. Then I'll tell  
13 you in brief what is presented in the rule and then we  
14 would like to hear from you and in your comments.

15           Also 30 percent of the water heating for  
16 federal buildings should be provided via solar energy  
17 if possible. And also as I said at the bottom this is  
18 a modification to the ECPA, Energy Conservation and  
19 Production Act of 1992. And that is the citation, 42  
20 U.S.C. 6834.

21           Current status, okay, you all probably  
22 remember having seen what we published in 2007 that was  
23 again mandated by Energy Policy Act 2005. That,  
24 Federal buildings should be at least 30 percent better  
25 than the building codes, national building codes. And

1 in that rule building codes we're referring, this is  
2 coming from the statute, for commercial buildings was  
3 the American Society of Heating, Refrigerating and  
4 Air-Conditioning Engineers Standard 90.1 2004. For  
5 residential buildings referred to IECC, International  
6 Energy Conservation Code, Standard 2004. Legislation  
7 refers to 2004, even though that was a supplement to  
8 2003, original document. So those are the baseline for  
9 those two standards and it was published in December of  
10 2007, something like that, and then it was effective by  
11 January 2007. Federal agencies for new buildings should  
12 follow those requirements.

13 Again, comment period for today's rule ends  
14 on August 12<sup>th</sup>. We are looking forward to seeing your  
15 written comments then we will review all the comments  
16 and then draft the final rule. We will basically reply  
17 to every commenter and the comments and what the  
18 decision by the Department was on that in the preamble  
19 of the final rule.

20 All the rulemakings will go through the  
21 concurrence process. In other words, internally and  
22 then finally in the Office of Management and Budget.  
23 They all have to concur prior to publication in the  
24 Federal Register.

25 Another notice that we are working on, and as

1 I speak it's with the Office of Management and Budget,  
2 is the reduction of fossil fuel. We are looking  
3 forward to have that rule to be concurred by that  
4 office and then to be able to publish that proposed  
5 rule. We have the same procedure as this one, public  
6 meeting, comment period and so forth.

7 Okay. Here is basically for building  
8 classification I put this slide here so what we have  
9 what are the buildings covered by the Energy  
10 Independence and Security Act of 2007 and the areas  
11 that relates to Federal buildings. Federal buildings  
12 definition is defined in the third or second page of  
13 the NOPR. It's a very long definition and I recommend  
14 that you read that definition of what the Federal  
15 building is.

16 Also the statute says Federal building or the  
17 buildings which are more than 2.5 million, cost more  
18 than 2.5 million. Those are the areas from EISA for  
19 federal buildings. And as you see, you know, a  
20 sustainable design requirement for the EISA type  
21 building apply life cycle effectiveness, but for the  
22 rest of the Federal buildings applies only if life  
23 cycle cost effective.

24 And also on the green building rating system  
25 as I mentioned the requirements applies to EISA type

1 buildings. And for the rest of the building do not.  
2 In other words agencies can select any kind of a green  
3 program that they would like to apply to their  
4 buildings, but not the EISA covered buildings.

5 EISA building covers major renovations. I  
6 read some of the statements. There are some comments on  
7 the definition of major renovation.

8 The major renovation does not apply to the  
9 rest of the Federal buildings.

10 Okay. Consistency with other federal  
11 policies. As you see here we mention guiding  
12 principles. The Guiding principle first came to the  
13 Executive Order signed by President Bush which was  
14 Executive Order 13423, if I'm remembering. I'm getting  
15 old so numbers are getting difficult for me to  
16 remember. And also in the new Executive Order signed  
17 by President Obama, 13514, they both referred to the  
18 guiding principle and that is the high performance and  
19 sustainable building guidance. And there was a  
20 memorandum of understanding, signed by most of Federal  
21 agencies basically to do what the guiding principle  
22 says. And because of that and also sustainability  
23 elements are very much covered, the same items, but  
24 again, our rule is more comprehensive and more expanded  
25 from the guiding principle. Certain things were not

1 there and then we have it in this rule. For example,  
2 siting certain coverage of the type of buildings which  
3 was not. We very closely worked with the working group  
4 that developed the guiding principle. And we worked  
5 and communicated with this working group to make sure  
6 that what we are writing is very much in line with the  
7 guiding principle. We didn't want to have more  
8 regulations for the stakeholders, you know, we see  
9 something in the Executive Order or something else in  
10 the Federal rule which would be going to the Code of  
11 Federal Regulations after we finish the final rule.

12 Let me mention that any time we do a  
13 rulemaking of any type of rules which is mandated by  
14 Congress we are going through the proposal rule, final  
15 rule, and when the final rule is published in the  
16 Federal Register, that rule is going to go to the Code  
17 of Federal Regulations. What we have in the Code of  
18 Federal Regulations for Federal buildings are in two  
19 sections. Section 433 for commercial Federal  
20 regulations. And all the residential Federal  
21 regulations goes to section 435, for your information.

22 So it is very important that you look at those CFRs  
23 Part 433 for federal commercial and 435 for federal  
24 residential. Okay.

25 Proposed elements of sustainable design.

1 There are six elements that were covered excessively in  
2 the proposed rule that I would like to identify those  
3 one more time.

4 The first is integrated design. As you all  
5 know sustainable design for the buildings has so many  
6 elements. So it's very important, you know, to have  
7 the whole building design type principle and process to  
8 be applied for this type of design for the federal  
9 building sustainability. Also we employ commissioning  
10 practices. In other words, when the building is done  
11 the Federal agency or whoever is the owner, they need  
12 to make sure that it's going to follow up so that  
13 building is going to be performed as far as the  
14 elements are in case of sustainability and so also 30  
15 percent better than the building codes. Eventually  
16 when we get the reduction of fossil fuel and by FY2030  
17 per EISA 2007, all Federal buildings should be free of  
18 fossil fuel usage. And that is the rule that's coming  
19 up. I don't want to talk too much about that rule, even  
20 though it looks like I'm okay with the time. This  
21 fiscal year we have to reduce fossil fuel usage by 55  
22 percent and you go every five years to reduce it a few  
23 percentage more and then we get to FY2030 that we have  
24 zero percentage of the fossil fuel usage for the  
25 Federal buildings.

1           And the baseline that you are probably very  
2 familiar with is the CBECS, that is Commercial Building  
3 Energy Consumption Survey, statistical data which is  
4 collected by another part of DOE, another office, EIA,  
5 Energy Information Administration, and the last or what  
6 the statute is referring to is a 2003 version of that.

7           And the 2007 is supposed to come out, but I think EIA  
8 is not keeping up with the schedule. So we are looking  
9 forward for CBECS 2003 revision.

10           Again in the RECS, that's for the residential  
11 Federal buildings, those are the baselines for 2003 and  
12 then we are basically reducing it from that baseline by  
13 so many percentages.

14           Okay. Energy performance. As I mentioned,  
15 we already have the requirements we published in 2007  
16 for Federal buildings, new federal buildings, should be  
17 30 percent better than the building codes and if is  
18 life cycle cost effective.

19           Water conservation, this is very much coming  
20 from the guiding principles. Use 20 percent less water  
21 indoor, 50 percent less outdoors. You are probably  
22 familiar this requirements. EPA administers that  
23 program. Water assessed products and then we have  
24 indices what the conservation of water should be and  
25 how to reflect that in the rule. And so this is what

1 we basically have on that.

2           The more elements are indoor environmental  
3 quality, very, very sensitive area. The American  
4 Society of Heating, Refrigerating and Air-Conditioning  
5 Engineers Standard 62.1 which covers commercial  
6 buildings and 62.2 is for residential building. So  
7 these two documents developed by ASHRAE are covering  
8 the indoor air quality.

9           Another standard, ASHRAE Standard 55 and this  
10 is reflected in the RECs, the regulation part of our  
11 proposed rule, and it's covering the thermal comfort,  
12 also are related to the indoor air quality improvement  
13 of indoor air.

14           Okay. Environmental impact of material,  
15 recycle the vital based element in environmentally  
16 preferable products. That's something in a part of  
17 sustainability as you all know. And recycle or salvage  
18 50 percent of construction waste.

19           Siting. Siting is something that is not in  
20 the guiding principle. It is covered here. Also  
21 covered in some of the newer ASHRAE or ICC documents in  
22 their presentation.

23           So, again, central location, close to public  
24 transit and all that if possible is part of the  
25 sustainability elements for siting.

1           Okay. Green Building Certification System,  
2 this is the other area which is covered in this notice  
3 of proposed rule. Okay. This rule does not require,  
4 as it says here, not underlined proposing to rate  
5 new/renovated buildings comply with a green building  
6 system. Okay. Also this proposes minimal system  
7 certification or specification, if Federal agencies  
8 choose to use green building system. Then we have very  
9 elaborate and extended explanation of what we have for  
10 the green building systems in the proposed rule.

11           Okay. If the agency decides to use the green  
12 building certification system, then within the system  
13 criteria is that verification by independent assessors  
14 and authorities or auditors. These are developed by a  
15 consensus based process to include a public comment  
16 phase and so forth and national recognition also  
17 includes periodic evaluation of the building, post  
18 occupancy, assessment and that sort.

19           Okay. In this notice of proposed rule, in  
20 the preamble part of the rule, depending on the areas,  
21 we are asking for comments from you, from all of you  
22 stakeholders to help us to go forward for drafting the  
23 final rule. And I'd like to identify one more time  
24 what we asked to comment. I went through the NOPR,  
25 David and I identified those comments, to make sure

1 that we are going to get comments from you related to  
2 areas we are asking for comments.

3 The major issues here that we are requesting  
4 input from you all is that cost increases versus  
5 improved sustainability. This is one area that I  
6 specifically would like to identify and get your  
7 comments on that. Should existing green building  
8 system be preapproved as meeting: Item 1-Acceptable  
9 system so that agencies can voluntarily use or Item 2-  
10 sustainable design requirements in the rule.

11 Okay. I've identified specific comment on  
12 the next two slides. 5 items on each slide, total of  
13 ten areas. These are all coming from the notice of  
14 proposed rulemaking that you have. And I just wanted  
15 to basically read those and emphasize the areas that  
16 are specifically mentioned and then ask for your  
17 comments. I read most of the statements that I  
18 received and you have mentioned some of the areas that  
19 I have listed here.

20 Okay. Let's go over these ten items. How to  
21 apply standard to leased buildings -- I'm just reading  
22 those and we will talk about it -- for level of control  
23 for federal agencies over construction of these  
24 buildings. That we would like to receive comments on.

25 Should there be a 3 percent or other limit on

1 total construction cost increases as a result of the  
2 rule. Should there be a threshold on life cycle cost  
3 increases as a result of the rule and if so, what  
4 threshold.

5 Let me mention at this point, you probably  
6 know that cost effectiveness for the federal building,  
7 what we are referring to here is in the Code of Federal  
8 Regulations Part 436 and that's the methodology of how  
9 the cost effectiveness should be evaluated. There are  
10 four methods and I'm not sure you are familiar with  
11 that, if you are not, please read that section of the  
12 Code of Federal Regulations 436.

13 We also have responsibility to revise, update  
14 that section. And the National Institute of Standards  
15 and Technology working very closely with us to update  
16 this section. Every year we update the discount rate  
17 and related areas. I see some heads going from up,  
18 down, so it means it looks like you know what I am  
19 referring to.

20 And going back to how should "major  
21 renovation" be defined? We proposed a definition for  
22 that because the statute says design sustainability  
23 also applies to the major renovation. So it is  
24 appropriate that we propose a definition for major  
25 renovation in this rule.

1           And how should the requirement of 30 percent  
2 hot water demand via solar energy should be implemented  
3 if life cycle cost effective.

4           Okay. The other five items that I identified  
5 in my slide are here which, again, as I said, they are  
6 explained in the NOPR and I am just going over those to  
7 make sure that we are getting comments from everybody  
8 on those.

9           Should ASHRAE indoor air quality guide or  
10 other industry indoor air quality, IAQ, guide or  
11 standard be referenced in the rule? I'd like to hear  
12 that comment.

13           How should radon control be addressed in the  
14 rule for residential building and also for commercial  
15 building? Radon was popular with residential  
16 buildings. Now we're talking also about the commercial  
17 building. We would like to hear your comments on that.

18         We are covering commercial and residential in this  
19 rule.

20           And should the ozone depletion be addressed?  
21 I was reading the statements, it looks like there are  
22 some comments on that issue already in the statements  
23 from speakers.

24           Okay. Should actual energy use of building  
25 designed to this code be collected and reviewed? If

1 so, how should this data be used?

2 So these are the areas that I put on the  
3 slides so for you all to make sure that you comment on  
4 those.

5 And my last slide is that these are how your  
6 again, this is coming from the NOPR, but I am showing  
7 here again. Make sure that the title, the Docket  
8 number because all the comments are going to be entered  
9 into the Docket sheet for this rule. And all the  
10 comments, all the references, we have to have all that  
11 in one place in what we call it a Docket room. Then  
12 you all can come, if you are interested to read  
13 everything related to this rule.

14 So it is important that you refer to that  
15 number in your comments.

16 Also the RIN Number, Regulatory  
17 Identification Number. There are two ways that we  
18 identify or keep track of all the rulemaking that we  
19 do.

20 And, again, still I am the point of contact  
21 until the end of the comment period for this rule which  
22 is August 12<sup>th</sup>. And then later on as Richard Kidd  
23 mentioned, we are in the process of transferring some  
24 of the rule to the building technology and Margo Appel  
25 here is going to lead on that project. But for the

1 time being all the comments are going to come to me to  
2 my attention.

3 And those are the three ways that you can  
4 provide your comments to us. E-mail, your postal mail  
5 and your courier.

6 So all that is done. Again, comments  
7 deadline is midnight August 12<sup>th</sup>. And my goodness, I  
8 have until 10:30 -- (sound file interruption).

9 (Laughter.)

10 MR. NASSERI: And, again, as I said, you  
11 know, we would like to hear. Again, this is a  
12 gathering to hear your comments. We may be able to  
13 answer some of the questions, general counsel is here  
14 and technical issues, if there are issues that we can  
15 answer or basically the PNNL experts are here, myself,  
16 we will do that. But we are expecting that you tell  
17 us, comment about our proposed rule and then all your  
18 comments is going to go to the Docket -- everything  
19 today is going to be in this public meeting transcripts  
20 and that is going to be available soon.

21 Question?

22 MR. RABA: Yes, state your name, please?

23 MR. APPLE: My name is Todd Apple with  
24 Dupont. It was a procedural question with regard to  
25 the public comments and when would we be in a position

1 to read others' public comments? Would that be before  
2 August 12<sup>th</sup>?

3 MR. NASSERI: After.

4 MR. APPLE: We would not be able to see other  
5 public comments until after August 12<sup>th</sup>?

6 MR. NASSERI: After the close of the comment  
7 period we have all the comments basically and the  
8 docket. And what we do we are going to just say, you  
9 know, the commenter, the nature of the comment,  
10 organization, and so forth, then later on we are going  
11 to use that on how to proceed for the final rule.

12 Any other comments, any other questions?

13 MR. RABA: Yes, please.

14 MR. BLAKEY: Allen Blakey, the Vinyl  
15 Institute. I guess the answer to this is probably  
16 obvious, but in e-mailing comments, the subject line of  
17 an e-mail would only allow a few words. I guess you  
18 could use any of those three bullets you've got up  
19 there under the subject line of all correspondence in  
20 order to send in an e-mail?

21 MR. NASSERI: Uh-huh.

22 MR. BLAKEY: You don't have to put the whole  
23 thing on your subject line?

24 MR. NASSERI: Chris?

25 MR. CALAMITA: Chris Calamita, DOE. I think

1 if you had to limit to one, we would prefer maybe the  
2 RIN number.

3 MR. BLAKEY: The RIN Number.

4 MR. CALAMITA: That's the most precise.  
5 Yeah, I do appreciate that subject lines can have a  
6 limitation on them. So, yeah, the RIN Number would be  
7 preferred.

8 MR. BLAKEY: Thanks.

9 MR. NASSERI: Thank you very much, Chris. I  
10 almost went to law school, you know, in engineering. I  
11 didn't do that. So I'm not very comfortable when it  
12 comes this. So I have a great team of Chris Calamita  
13 and also (inaudible).

14 Any other questions?

15 (No response.)

16 MR. NASSERI: Great. Thanks a lot.

17 MR. RABA: Thank you, Cyrus.

18 (Pause.)

19 Stakeholder's Statements

20 MR. RABA: We are trying to plan the next  
21 part of the day here. We are looking at the statements  
22 here and then person who wish to speak. I think that  
23 you might have some flow that would go very smoothly  
24 with this order that you've developed.

25 MR. NASSERI: What we did, I sent an e-mail

1 to the speakers, the ones that probably received it and  
2 then because of the nature and the number of speakers  
3 we were asked, you know, to basically have a three  
4 minute time to present your comments and then summarize  
5 your statements as much as you can and then that's what  
6 we'd like to go forward. So far we have received  
7 something like 14, 15 statements to be presented. I  
8 don't know how many other just came here with their  
9 statements. So that's what we would like to do to  
10 basically finish on time and give an opportunity to  
11 every person or organization to give us their comments.

12 Then I kind of made an arrangement -- the  
13 arrangement comes when I receive, you know, mostly  
14 first to speak so we kind of put number one, two,  
15 three. So if you notice in the agenda, we do not name  
16 anyone. We don't list the organization and all that.  
17 So we have it here. Jim is going to follow up that  
18 order to do this.

19 MR. RABA: And you may want to take some more  
20 time with your comments, but just basically a summary  
21 and certainly the written comments are most welcome  
22 afterward. And I think Cyrus would have maybe on order  
23 here.

24 Is the representative from the American  
25 Society of Heating, Refrigerating, and Air-Conditioning

1 Engineers here? Good to see you, sir. Would you like  
2 to use the podium?

3 MR. MONTGOMERY: No, I'm okay.

4 MR. RABA: Thank you.

5 MR. MONTGOMERY: Thank you and welcome,  
6 everybody. My name is Ross Montgomery from ASHRAE.  
7 I'm a vice president there. I've come here today to  
8 talk to you about ASHRAE Standard 189.1

9 I want to make some brief statements about  
10 ASHRAE, obviously we were founded in 1894. We've been  
11 in business for many, many -- over 100 years and we are  
12 an international, non-profit, technical engineering  
13 society of over 52,000 members in over 140 countries.  
14 Our members represent the breadth of professionals  
15 involved in the built environment from consulting  
16 engineers, architects, contractors, to mechanical  
17 equipment representatives and a lot of academia.

18 We have a mission of advancing the arts and  
19 sciences of HVAC and are to serve humanity and promote  
20 a sustainable world and we do that through research,  
21 standards, writing, publishing, and continuing  
22 education. And we like to think of ourselves as the  
23 experts on energy and buildings and also indoor air  
24 quality.

25 We have a very rigorous standards development

1 process that we call -- we use what we call consensus,  
2 openness, balance, transparency, and in fact we are one  
3 of the ANSI audited designators here so that we can act  
4 --

5 (Sound going in and out.)

6 MR. MONTGOMERY: -- self perform --  
7 designations.

8 So in addressing today's NOPR ASHRAE strongly  
9 believes that our newly developed ASHRAE Standard 189.1  
10 will help meet many of the federal government's needs  
11 and guidelines on energy management, indoor air  
12 quality, et cetera.

13 As Cyrus went through his slides, we feel  
14 like 189.1 will meet and exceed many of those.

15 In recognition of the importance and broad-  
16 base of support for improved green building standards I  
17 am testifying here today with my colleague from the ICC  
18 who we worked with a lot on this ASHRAE standard 189.  
19 We developed this in collaboration with the  
20 Illuminating Engineering Society of North America,  
21 IESNA, and also USGBC in addition to the APMO and other  
22 organizations that we work with a lot.

23 We feel like ASHRAE Standard 189.1 is the  
24 first code intended, commercial green building standard  
25 in the United States. And we also want to service the

1 compliance path of the International Green Construction  
2 Code, IGCC, that's published by the ICC.

3 We have brought to you like seven pages of  
4 long comments and I'm just summarizing some of these  
5 here today. ASHRAE Standard 189.1 represents a  
6 revolutionary new step for building standards as it  
7 provides a long-needed green building foundation for  
8 those who strive to design, build, and operate green  
9 buildings. From site location to energy use to  
10 recycling this standard will set the foundation for  
11 green buildings through adoption into local codes.

12 It covers key topic areas very similar to  
13 green building rating systems which include site  
14 sustainability, water use efficiency, energy  
15 efficiency, indoor environmental quality, and the  
16 building's impact on the atmosphere, materials and  
17 resources.

18 The energy efficiency goal of ASHRAE Standard  
19 189 far exceeds that of ASHRAE Standard 90.1 2007, so  
20 it actually adds more energy efficiency ratings for  
21 that. And it basically provides minimum requirements  
22 for the siting, design and construction of high  
23 performance green buildings. For these reasons and  
24 about three pages more of those reasons that we cited  
25 in our statement we would like very much for the

1 Federal Energy Management Program to reference ASHRAE  
2 Standard 189.1 compliance option of the IGCC as a means  
3 of meeting the requirements of this rulemaking in Part  
4 433 as indicated as I move on through my testimony.

5 We have many, many, many pages of ideas in  
6 there which when I saw Cyrus go through his slides,  
7 they're right on point of a lot of the information  
8 Cyrus was hitting. I do want to touch on one  
9 particular thing that ASHRAE Standard 189 is intended  
10 to compliment green building rating systems. It's not  
11 intended to be a rating system nor do we want to  
12 compete with rating systems. We just want to  
13 compliment them and provide the technical information  
14 base for those to do well no matter which one you might  
15 pick.

16 Also ASHRAE has a building energy quotient,  
17 energy labeling program, that we think that may meet  
18 DOE's green building certification needs inasmuch as  
19 energy. The building EQ program that we currently have  
20 going on involves creating an asset rating, or an "as-  
21 designed rating" next to an operational rating which is  
22 the actual measured value of the energy the building is  
23 using. So it not only does the asset which is the  
24 design side, but it also does the operational side  
25 after the building has been in operation for 12 to 18

1 months so you can compare the design to the actual  
2 operation and see how it's performing. So we think  
3 that's an important part of what DOE is interested for  
4 energy and we would just like to just show you that we  
5 have a pilot program that's doing well. It's soon to  
6 finish. We have a nice, bright, good-looking building  
7 label for DOE to consider.

8           So, in closing, ASHRAE Standard 189  
9 represents a major step forward as the first code-  
10 intended commercial, high performance green building  
11 standard in the United States. And we believe that  
12 ASHRAE 189.1 is poised to revolutionize the design,  
13 construction, and operation of green buildings. Many  
14 of the standards provisions are directly in line with  
15 DOE intent and the notice of today's rulemaking. They  
16 go hand-in-hand and it answers a whole lot of questions  
17 in that notice for proposed rulemaking.

18           We strongly encourage DOE to incorporate and  
19 reference, once again, the Standard 189.1 compliance  
20 option of the IGCC as well as other ASHRAE standards  
21 that I mentioned in my report including 90.1, 55, 62,  
22 100, 180, Guideline 0 for commissioning, and also the  
23 new indoor air quality guide that Cyrus mentioned in  
24 his slides.

25           So working together in a continued

1 partnership I am confident that we can succeed in  
2 meeting the nation's most pressing and environmental  
3 sustainability needs by improving the built  
4 environment. These are all an important part of  
5 ASHRAE's mission and vision as we go through our things  
6 that we want to work with DOE every step of the way.  
7 So I thank you very much for letting me speak to you  
8 here today and I'll be glad to answer any questions, or  
9 we can wait until the question answer period.

10 MR. NASSERI: Thank you. We can -- we are a  
11 little bit ahead of that. My presentation was half an  
12 hour short, so we have a little bit of time. Any  
13 comments for Ross related -- I have my question comes  
14 first. Is ASHRAE 189.1 for commercial buildings?

15 MR. MONTGOMERY: Yes.

16 MR. NASSERI: Is ASHRAE working on anything  
17 for the residential like 189.2?

18 MR. MONTGOMERY: Well, they have a 189.2,  
19 it's actually going towards hospitals, but we also will  
20 consider the residential side as time goes on.

21 MR. NASSERI: So ASHRAE is working towards  
22 the residential part of this?

23 MR. MONTGOMERY: Yes, we are talking about  
24 it. We don't have an actual TPS yet, you know, title,  
25 purpose, scope yet, but we are actually moving in that

1 direction. It's our natural progression.

2 MR. NASSERI: Any other comments for Ross?

3 (No response.)

4 MR. NASSERI: Good

5 MR. RABA: Well, thank you very much.

6 Would the representative from the  
7 International Code Council like to speak?

8 MR. WYLAND: Sure. Thank you.

9 MR. RABA: Thank you.

10 MR. WYLAND: Excuse me. My name is Rick  
11 Weiland, I'm the chief executive officer for the  
12 International Code Council. I want to thank you for  
13 this opportunity to share a few words with you today.  
14 We are pleased to be able to provide some new  
15 information regarding the regulation of green  
16 construction involving tools backed by six preeminent  
17 national organizations that are now available to  
18 address federal goals as well as meet the needs of  
19 state and local governments.

20 To begin with, I just want to give you a  
21 little bit of background, for those of you who don't  
22 know anything about the International Code Council  
23 itself. We were established back in 1994 as a non-  
24 profit organization dedicated to developing a single  
25 set of comprehensive and coordinated national model

1 construction codes. We are a membership organization  
2 dedicated to building safety, fire prevention, and  
3 energy conservation. And our international codes  
4 provide a state-of-the-art basis of safeguards for  
5 people at home, at school, and in the workplace.

6 Our model building codes benefit public  
7 safety and support the industry's need for one set of  
8 codes without regional limitations and are adopted in  
9 all 50 states including the District of Columbia.

10 We published the International Energy  
11 Conservation Code, the IECC, which is referenced as  
12 Cyrus mentioned in the Energy Independence and Security  
13 Act of 2007 and is a national requirement in Section  
14 410 of the American Recovery and Reinvestment Act of  
15 2009. The IECC in particular is used or adopted in 45  
16 states, the District of Columbia and the U.S. Virgin  
17 Islands.

18 Concerning the proposed rulemaking at hand,  
19 the ICC would like to offer just a few following  
20 comments and obviously we've submitted our written  
21 comments which are a lot more extensive than the two to  
22 three minutes I was allowed to talk regarding this.

23 Some of the terminology used in the  
24 legislation and in the proposed regulation does not  
25 reflect the most optimal blend of tools now in

1 existence to achieve Congressional intent. Instead,  
2 reflecting only options available at the time of  
3 drafting. In the absence of a model code to create a  
4 regulatory framework for green construction rating  
5 systems helped bring the discussion of green design  
6 into focus, setting the stage for a baseline set of  
7 codes while LEED and other systems function as an  
8 additional set of criteria beyond this codified  
9 baseline.

10 The gap between existing codes and rating  
11 systems has now been filled with the IGCC. The  
12 publication of the International Green Construction  
13 Code which includes ANSI's -- ASHRAE Standard 189.1 as  
14 an optional compliance path, there is now a new and  
15 comprehensive set of tools available in mandatory code  
16 language. The IGCC jointly sponsored by the American  
17 Institute of Architects, AIA, ASTM International,  
18 ASHRAE, the U.S. Green Building Council, and the  
19 Eliminating Engineering Society contains provisions  
20 that are well adapted to the federal government's need  
21 for an enforceable, verifiable, and adaptable document  
22 to facilitate the green and sustainable design,  
23 construction, and renovation of federal buildings.

24 In addition, the IGCC references the National  
25 Association of Home Builders (NAHB's) and ICC's ANSI

1 National Green Building Standard for residential  
2 construction, the ICC 700 standard.

3 We are gratified that our colleagues at  
4 ASHRAE in collaboration with ICC have testified today  
5 and have joined us in this effort. In addition, the  
6 sponsorship of USGBC underscores the role of the IGCC  
7 as a baseline code and lead as an optional rating  
8 system as two bookends to creating a greener built  
9 environment.

10 Our colleagues at USGBC, the organization  
11 that originated the LEED standard, have publicly called  
12 for the adoption of the IGCC as well.

13 To recast the proposed rule in this new  
14 context we attempt to indicate throughout our written  
15 comments the places where the language of the proposed  
16 rule is either too restrictive or uses inappropriate or  
17 outdated definitions or terminology that could  
18 disqualify buildings otherwise meeting state-of-the-art  
19 requirements in this rapidly evolving area of green  
20 construction. We strongly encourage FEMP to reference  
21 the entire 2012 IGCC, including the ANSI ASHRAE 189  
22 Standard as a compliance path option, and including the  
23 ICC and HB-700 National Green Building Standard for  
24 residential structures as a means of meeting the  
25 requirements of this rulemaking in parts 433 and 435 as

1 reflected throughout these comments.

2 I want to thank you again for the opportunity  
3 to make this presentation along with our colleagues at  
4 ASHRAE and the other four organizations that have been  
5 a part of this developmental process of the IGCC. We  
6 encourage the Department of Energy to continue to  
7 support these ongoing sustainability efforts. Thank  
8 you.

9 MR. RABA: Thank you.

10 MR. NASSERI: Thank you very much, Richard.  
11 Any comments? One or two comments for Richard  
12 concerning the IGCC and ICC documents?

13 (No response.)

14 MR. NASSERI: So we can proceed.

15 MR. RABA: Sunnovations.

16 MR. CARLSON: So I guess I'm first up from  
17 industry here.

18 My name is Matt Carlson, Chief Executive  
19 Officer of Sunnovations, Inc. in McLean, Virginia. I  
20 am pleased to have this opportunity to participate in  
21 this public hearing on this important issue.

22 In my and Sunnovations' view the proposed  
23 rule: one, represents a meaningful advancement in the  
24 cost and energy efficient construction practices of the  
25 federal government; two, recognizes the role that solar

1 water heating can play in reducing our nation's  
2 environmental footprint and increasing its energy  
3 independence; and three, will spur economic activity  
4 among the small and entrepreneurial business community  
5 that forms the core of the green building and solar hot  
6 water technology ecosystem.

7           Let me give you a brief summary about my  
8 company and why we're interested in this topic. To  
9 excerpt from Sunnovations' mission statement, "Solar  
10 powered hot water should be an obvious affordable  
11 alternative for all American homes and businesses and  
12 federal, state and local policy and regulation should  
13 encourage its use." While Sunnovations would be a  
14 potential beneficiary of the proposed rule, it clearly  
15 speaks to the heart of our company's mission.

16           Sunnovations was founded in 2008 by my  
17 colleague and company chief technology officer Arno Van  
18 Hauten. An engineer by training Arno sought to develop  
19 a solar hot water system that had all the attributes  
20 that were lacking in comparable solar hot water  
21 technologies in the United States market,  
22 affordability, simplicity, and standardization. Our  
23 system is particularly suited for smaller scale  
24 applications including single and multi-family  
25 residential, small office and commercial, as well as

1 remote or periodic use to locations where our system's  
2 no maintenance operation is especially valuable.

3 I want to specifically and particularly  
4 commend the Department on its recommendation to include  
5 military housing in the definition of federal  
6 buildings. This is an important development as the  
7 tens of thousands of units in our military housing  
8 stock represent a phenomenal opportunity to showcase  
9 solar hot water technology and mitigate energy costs at  
10 military facilities. Projects like FLS Energy's recent  
11 installation of solar hot water heating systems in 900  
12 homes at Camp LeJeune, North Carolina speak to the  
13 viability of such projects and represent a win/win for  
14 all parties involved.

15 The Department has also asked for comments on  
16 the definition of "major renovation." Sunnovations'  
17 observation there would be to encourage a definition  
18 that included multi-unit projects that are part of a  
19 single contract as opposed to setting a \$2.5 million  
20 per building threshold.

21 I am also here as a representative of the  
22 nation's small business and entrepreneurial community  
23 which has a substantial stake in this rulemaking.  
24 Sunnovations is part of a new breed of entrepreneur  
25 that is pursuing both societal benefit and economic

1 opportunity. The overwhelming majority of U.S.  
2 domiciled companies that are involved in the solar  
3 thermal sector from vendors to installers to service  
4 providers generate less than \$20 million in annual  
5 revenue. Indeed, most of the estimated 600 firms  
6 nationally that are active in solar hot water  
7 installation are owner-operated firms with revenues  
8 between \$1 and 5 million.

9 That is the quick summary of my testimony.  
10 So thank you for your attention and your advocacy here.

11 MR. RABA: Well, thank you. Thank you very  
12 much.

13 MR. NASSERI: Great. Great. Any questions  
14 for Matt?

15 (No response.)

16 MR. RABA: Great.

17 MR. RABA: We will now hear from the Green  
18 Building Initiative.

19 MS. SHAFFER: Thank you. It's good to be  
20 here this morning. My name is Erin Shaffer and I am  
21 here representing the Green Building Initiative (GBI),  
22 a 501(c)(3) non-profit organization based in Portland,  
23 Oregon.

24 GBI became the first green building  
25 organization to be accredited as a standards developing

1 organization through the American National Standards  
2 Institute. GBI also embarked on a process to establish  
3 Green Globes as the first ANSI standard for commercial  
4 building, an effort completed successfully in March of  
5 this year.

6 My comments today will focus on three key  
7 areas within the proposed rule. First, green building  
8 certification systems. GBI's Green Globes meets the  
9 requirements of the guiding principles and DOE's  
10 proposed rulemaking. GBI owns the rights to Green  
11 Globes in the United States and promotes Green Globes  
12 for new construction and Green Globes for continual  
13 improvement of existing buildings. Both systems are  
14 overseen by GBI and enable assessors and auditors to  
15 independently verify the criteria and measurement  
16 metrics of the system, are developed by a certification  
17 organization that provide an opportunity for public  
18 comment on the system and provide an opportunity for  
19 development and revision of the system through a  
20 consensus-based process and are nationally recognized  
21 within the building industry.

22 Green Globes is subject to periodic  
23 evaluation and assessment of the environmental and  
24 energy benefits that result under this rating system  
25 and includes a verification system for post-occupancy

1 assessment of the rating buildings to periodically  
2 demonstrate continued environmental and energy  
3 benefits.

4 GBI achieved recognition for being the only  
5 green building rating system for commercial buildings  
6 to take its new construction module through the ANSI  
7 process and have now the ANSI GBI 01/2010 a green  
8 building assessment protocol for commercial buildings  
9 as the first voluntary compliance standard that is  
10 directly relevant to DOE's request for comments on new  
11 voluntary consensus standards. The Green Globe system  
12 is a web-based green building tool that's used by more  
13 than 21 VA hospitals, a number of State Department  
14 buildings, including the first green globe certified  
15 building in Washington, D.C., at least 14 GSA buildings  
16 in two regions, by the Health and Human Services on a  
17 handful of buildings. It's also incorporated in 20  
18 state laws, has been recognized by a number of major  
19 insurance companies for preferential green building  
20 rates, and is used by major universities and  
21 corporations around the country.

22 The Green Globes tool for new construction  
23 and continual improvement of existing buildings have  
24 assisted federal agencies in working toward meeting the  
25 federal requirements outlined in the guiding

1 principles. The two tools work together to provide a  
2 continuum to assist design teams in setting of  
3 achievable performance goals and operations teams in  
4 continuously monitoring performance and making  
5 incremental improvements.

6 The Green Globes system recognizes progress  
7 in reducing energy consumption through use of the  
8 Energy Star Rating System that's incorporated into the  
9 tool and ASHRAE 90.1 benchmarks.

10 On water performance we note that the ANSI  
11 GBI standard contains a very advanced water section  
12 with stringent criteria allowing agencies to meet  
13 existing and new criteria as outlined in the proposed  
14 rule including specialty areas of water consumption.

15 GBI asked that DOE officially recognize green  
16 globes as a certification system that meets all of the  
17 criteria called for in the proposed rulemaking.

18 My second point regards focuses on levels of  
19 green building certification. Achieving two Green  
20 Globes allows agencies to meet federal requirements.  
21 The four levels of Green Globes are comparable to the  
22 four levels of LEED. GSA has designated LEED silver as  
23 meeting federal requirements. Federal agencies using  
24 Green Globes protocol should achieve two green globes  
25 for compliance with the federal agency mandates.

1           Currently there are at least nine buildings  
2 around the country that are dual certified leading  
3 Green Globes and at least two of these are federal  
4 buildings. The resulting certification levels  
5 demonstrate the point that the systems and their four  
6 levels of certification are equivalent.

7           Finally, voluntary sustainable design  
8 standards, has already noted that the newest Green  
9 Globes tool, the ANSI GBI standard, was finalized and  
10 approved by ANSI in March of this year. It meets the  
11 requirements of the proposed rulemaking and it liked  
12 the current versions of Green Globes on which it was  
13 based and that are being used by federal agencies today  
14 to comply with the guiding principles and other federal  
15 requirements.

16           Green Globes provides important advantages to  
17 agencies and we request that DOE formally recognize GBI  
18 as Green Globes and its newest version the ANSI GBI  
19 standard noting that these represent voluntary tools  
20 and standards for agencies to use to comply with  
21 federal agency requirements.

22           One additional comment I want to make is with  
23 regard to DOE's statement that it's considering removal  
24 of green building certification systems if, for  
25 example, the actual building energy use exceed the

1 target energy use identified under the certification  
2 system. And GBI recommends that instead of removing a  
3 certification based on design standards that the  
4 federal agency should prioritize and emphasize the  
5 post-occupancy certification. Green Globes' continual  
6 improvement of existing building certification and  
7 recognizes actual building performance outcomes.

8 Thank you very much. I'd be happy to answer  
9 any questions.

10 MR. NASSERI: Thank you. Thank you very  
11 much. Any questions for Ms. Shaffer concerning green  
12 building initiatives?

13 Yes, one question.

14 MR. THOMPSON: This is Mike Thompson with  
15 Ingersoll Rand. It's my understanding that GBI is  
16 already listed as acceptable under the current  
17 standard? Do I recall reading that? And how are you  
18 looking to change what's currently in the standard or  
19 are you just supporting?

20 MS. SHAFFER: Yes. If you're talking about  
21 the proposed rulemaking GBI is not -- Green Globes is  
22 not listed either as one of the standards that has been  
23 under development in the standards section. The rule  
24 right now, I'm sure there are others that can talk  
25 about it in more detail, but talks about the criteria

1 that must be met by a certification system and level to  
2 then be recognized by DOE. And you would probably be  
3 best to explain it, but it sounds like DOE will then  
4 provide a list or develop a list of certification  
5 systems that will be approved and could be utilized by  
6 federal agencies. We are recognized in different  
7 agency's internal guidance as a tool that can be used  
8 by their agency.

9 MR. THOMPSON: Okay. As a general comment as  
10 far as a manufacturer of air conditioning equipment is  
11 concerned, you know, we believe that the widest range  
12 of acceptance on green building standards should be  
13 allowed. We are very supportive of the USGBC as well  
14 as GBI and 189.1. They all have their own merits and  
15 more options from the government agencies and which  
16 standard they have to do I think is better for the  
17 industry and gives better flexibility towards meeting  
18 green building standards. So I would fully support all  
19 those standards from ASHRAE's to GBI's to USGBC's.

20 MR. CALAMITA: This is Chris Calamita with  
21 DOE. Just, again, to clarify, we did not propose a  
22 single rating system or multiple systems. But as Cyrus  
23 had commented one of the things we are requesting  
24 comment on is should the DOE then apply whatever  
25 criteria get finalized in the final rule and identify

1 systems that meet that criteria or leave it up to the  
2 agencies then to identify various systems. And there  
3 may be benefits or issues with either of those  
4 approaches and we would like to hear comment on that.

5 MR. NASSERI: As Chris mentioned, this is an  
6 area we would like to receive your comments and we ask  
7 specifically for comments where it says, this is what  
8 was proposed in this proposal. We are not identifying  
9 any program or any levels at this point.

10 Okay. Any other comments for --

11 (No response.)

12 MR. NASSERI: Good. We are doing very well  
13 as far as time is concerned.

14 Jim.

15 MR. RABA: Rolling right along, in fact  
16 you're up again, sir.

17 MR. THOMPSON: Okay. Again, my name is Mike  
18 Thompson. I work for Ingersoll Rand and we are a  
19 global large manufacturer of air conditioning and  
20 refrigeration equipment and we produce equipment under  
21 the brand names of TRANE, ThermalKing and Huspin. And  
22 specifically what I want to address in this meeting is  
23 the discussion and the references to ozone depleting  
24 substances. My understanding and from reading the  
25 original Executive Orders, there's very little to no

1 mention of ozone depleting substances in those  
2 documents. However, it does trickle in to the DOE  
3 document that we're talking about on ozone depleting  
4 substances. And although it doesn't prohibit the use  
5 of ozone depleting substances, there are several  
6 references I've documented in my submissions. But  
7 primarily it says things like -- let's see, the use of  
8 ozone depleting compounds during and after construction  
9 must be eliminated where alternative environmentally  
10 preferable products are available, which we fully  
11 support. However, environmentally preferable is really  
12 not at all defined.

13           And when we look at air conditioning products  
14 and refrigerants there are three primary ways in which  
15 air conditioning will impact the environment. One is  
16 through the ozone depleting substances and the  
17 potential of the products, also the global warming  
18 potential of those products and also the energy  
19 efficiency

20           (break in sound system)

21           MR. THOMPSON: -- three of those aspects  
22 together. So if I try to -- if I pick on ozone  
23 depletion saying I need to eliminate that, I could be  
24 giving up on the global warming and energy efficiency  
25 side of things.

1           In my point of view the U.S. Clean Air Act as  
2 followed by the guidelines of the Montreal Protocol  
3 already handle the reduction of ozone depleting  
4 substances and as such through the U.S. EPA and the  
5 U.S. Clean Air Act they have already eliminated the bad  
6 acting ozone depleting substances already found. And  
7 the ones that are left to use are really very, very  
8 minimally environmentally impactful regarding ozone  
9 depletion and have some other benefits regarding global  
10 warming. A specific example of that is the use of the  
11 refrigerant HCFCR123 for centrifugal chiller  
12 applications. This has a very, very minimal impact on  
13 the ozone layer. It does have some and it's allowed to  
14 be used until the year -- or able to be produced until  
15 the year 2030. But it also has the lowest global  
16 warming potential impact of any refrigerants today on  
17 HFCs and it also is the most efficient option today in  
18 large chiller plants by as much as 10 to 12 percent  
19 over the HFC alternatives.

20           So we need to strike this balance between how  
21 we treat ozone depletion and greenhouse gases, they're  
22 all important.

23           The proposed solution in this document, I  
24 think is very, very simple and that is the U.S. EPA  
25 through the U.S. Clean Air Act has the guidance to

1 eliminate ozone depleting substances. They've done  
2 their job and they're doing that well and we have  
3 agreed-upon dates that we are meeting in the industry  
4 and we're all happy to do that. And I don't think it  
5 would be in conflict with the Executive Order just to  
6 completely remove the language regarding ozone  
7 depleting substances and stick to greenhouse gases.  
8 And that way you would avoid any conflict between the  
9 two standards. The ozone depleting substances are  
10 already handled through U.S. law that has been passed  
11 by Congress and we can know them and rely on them and  
12 there won't be any conflict between having our  
13 customers decide what an environmentally superior  
14 alternative and having them come up with their own  
15 criteria on what is considered environmentally superior  
16 because that just gets us in a very, very difficult and  
17 complicated discussion that we don't need to go. So we  
18 very much encourage the use of lower greenhouse gas  
19 impacts on energy efficiency and low greenhouse gas  
20 compounds and these refrigerants. So we support that.  
21 We support all the energy efficiency reductions put in  
22 here. I think that's a great direction to go, you  
23 know, improvements over 90.1, the standard. But I  
24 think getting into the foray of making decision on  
25 ozone depleting compounds is really walking into a

1 conflict between the U.S. Clean Air Act and what's  
2 being allowed to be used by the EPA and how good or bad  
3 those chemicals are.

4 So to sum up, my guideline here is to say  
5 really we ought to eliminate any references here to  
6 "ozone depleting compounds" because I think we are  
7 looking at potentially stepping on the toes and  
8 conflicting with the guidelines by the U.S. Clean Air  
9 Act and U.S. EPA.

10 Thank you.

11 MR. RABA: Thank you.

12 MR. NASSERI: Great. Any comment for Mike?

13 (No response.)

14 MR. RABA: This might be a good time to take  
15 a break. I see nodding of heads, yes, in the  
16 affirmative. We made great progress in the morning. I  
17 think you earned a break. Let's come back, let's say,  
18 by that clock on the ten. Fifteen minutes.

19 (Whereupon, at 10:35 a.m., a brief recess was  
20 taken.)

21 MR. RABA: Through the course of the morning  
22 we've had some people arrive and if you have not  
23 already stated your name and affiliation, corporation,  
24 or company, or association you represent, please do so  
25 now. We have vertical mikes -- sitting mikes at either

1 side of the room back here or at the table as well too.

2 So, again, if you have not already introduced  
3 yourself to the group, please do so now. State your  
4 name and the organization that you represent.

5 MR. PARKER: Hi, I'm Graham Parker, Pacific  
6 Northwest National Lab.

7 MR. HANSON: Dane Hanson with the  
8 International Association of Plumbing and Mechanical  
9 Officials.

10 MS. ROGERS: Melissa Gallagher-Rogers at U.S.  
11 Green Building Council.

12 MR. ROSSOLO: I am Mark Rossolo with the  
13 Greenguard Environmental Institute.

14 MR. RABA: Great. Thank you. Welcome back.

15 Let's keep going with our speakers. The next  
16 one is the representative from the North American  
17 Coalition on Green Building. Please.

18 MR. HALL: Great. Thank you very much and  
19 good morning. My name is Bill Hall and I represent the  
20 North American Coalition of Green Buildings which  
21 consists of about 30 organizations with a material  
22 interest in the green building movement including the  
23 resilient floor covering institute. Our members  
24 manufacture sustainable and energy efficient products  
25 that will assist the federal government in meeting its

1 goals.

2 I'm going to summarize a more extensive  
3 coalition written statement we submitted on July 21<sup>st</sup>  
4 and speak about two aspects of the DOE proposal.

5 First, we strongly support DOE's proposal to  
6 establish minimum criteria allowing a federal agency to  
7 choose any building certification system that meets  
8 their criteria. We agree with DOE's legal assessment  
9 that EISA does not require DOE to identify a specific  
10 commercially available green building rating system.  
11 Instead, as recognized by the 2009 GAO report it is  
12 essential provide federal agencies with the flexibility  
13 to choose any qualifying green building rating system  
14 in order to meet its obligations because one size does  
15 not fit all in this area.

16 For example, as Erin Shaffer pointed out,  
17 Green Globes places great emphasis on energy efficiency  
18 credits and the use of lifecycle assessment which  
19 conform with the principles required in the DOE's  
20 sustainable design standards. Likewise, the  
21 appropriate green building rating system for a federal  
22 health care facility may be different than for federal  
23 office buildings. Thus, in this area federal agencies  
24 need to have freedom of choice.

25 The federal government also must avoid

1 creating a monopoly for one commercially available  
2 rating system and encourage competition. By doing so  
3 DOE will reduce the costs of the federal green building  
4 program and encourage innovation changes to improve the  
5 effectiveness of the certification system.

6 And importantly the National Technology  
7 Transfer and Advancement Act requires federal agencies  
8 to use ANSI accredited rating systems like the NAHB,  
9 residential building system and Green Globes which  
10 utilized the rigorous and consensus ANSI process to  
11 develop them.

12 In the final rule in response to the question  
13 posed by DOE, we believe that DOE should recognize  
14 NAHB, Green Globes and whatever other rating systems  
15 they believe that meet the minimum criteria established  
16 in the rule. The criteria which, by the way, we  
17 support. For the reasons explained by Erin Shaffer of  
18 GBI, we believe that Green Globes and also NIHB meet  
19 that criteria. But by DOE making the determination in  
20 this final rule as to which rating systems meet the  
21 minimum criteria and not leaving it to each individual  
22 agency DOE will help streamline and accelerate the use  
23 of these rating systems by eliminating the need for  
24 each agency to make its own independent determination  
25 which could lead to inconsistent results. And

1 ultimately, again, I think it would further the  
2 environmental objectives here of streamlining and  
3 accelerating the use of rating systems by individual  
4 agencies.

5           In response to DOE's question about requiring  
6 the use of two additional criteria which is rating  
7 systems that undertake periodic evaluation of energy  
8 and environmental benefits as well as include post-  
9 occupancy verification that the rated buildings are  
10 actually meeting the environmental benefits in energy  
11 savings, we agree that those criteria should be  
12 included. It's very important to check and determine  
13 on a continuing basis whether the rating systems are  
14 living up to what they're advertised to be as well as  
15 the buildings themselves. However, we do have an issue  
16 with the suggestion that a green building certification  
17 system or certification for a building would be removed  
18 after one year if the building's energy use exceeds the  
19 targeted energy use. We feel that that time period is  
20 too short. Often it takes two years or more for  
21 optimal building performance and it would be better for  
22 DOE to actually use and allow the implementation of  
23 building system improvements as a result of the post-  
24 occupancy verification process. And then provide an  
25 adequate time for those improvements to work rather

1 than eliminating the building certification on the  
2 first sign of an issue.

3           The second part of the proposal I want to  
4 speak to is the proposed mandate for federal agencies  
5 to use environmentally preferred products, that is,  
6 product that have a lesser or reduced effect on human  
7 health and the environment over the lifecycle when  
8 compared with competing products. This is a laudable  
9 goal, but we question whether DOE should include a  
10 separate EPP selection requirement in this regulation  
11 which would be independent of, and in addition, it  
12 appears, to the use of qualifying building  
13 certification systems by agencies that choose to do so.

14           Our concern is that -- well, first of all  
15 qualifying green building rating system include credits  
16 for using EPP products that, for example, meet indoor  
17 air recyclability, biobased energy efficiency and other  
18 criteria. Thus, in our view, an independent EPP  
19 mandate that goes beyond the particular requirements in  
20 a certification system is not needed because again the  
21 certification systems already include EPP requirements  
22 that have gone through an extensive public comment and  
23 participation process. But, if DOE does decide to  
24 include a separate EPP requirement, it's absolutely  
25 essential that the selection process utilized,

1 lifecycle assessments that evaluate all relevant  
2 product attributes and do not disqualify a product  
3 based on a single attribute when not justified by the  
4 lifecycle assessment.

5           As you know this overall product evaluation  
6 process is complex. It requires the use of recognized  
7 and time-tested LCAs such as the B LCA that was  
8 developed by NIST and the Athena LCA. And, in fact, we  
9 propose that DOE consider establishing eligibility  
10 criteria for LCAs that would be used for any EPP  
11 selection process just like you've established the  
12 minimum criteria for the use of a qualifying green  
13 building and certification system.

14           Also the EPP or any EPP selection process  
15 should use standards that have been developed for  
16 evaluating the sustainability attributes of products  
17 and their manufacturers within a particular product  
18 category. A good example of this is the ANSI  
19 accredited NSF-332 which is that sustainability  
20 standard for resilient floor coverings.

21           Overall any EPP selection process or  
22 requirement needs to be scientifically sound, feasible,  
23 and maybe most importantly, well understood because of  
24 the price, performance, and availability impact of EPP  
25 selection on that vast federal government procurement

1 process.

2 The Coalition and RFCI intends to submit more  
3 detailed written comments by August 12<sup>th</sup>. Thank you  
4 for the opportunity to present this statement and I'm  
5 happy to answer any questions.

6 MR. NASSERI: Any questions for Bill?

7 MR. RABA: Thank you. May we hear from the  
8 Vinyl Institute?

9 MR. BLAKEY: Good morning. Thank you.

10 I'm Allen Blakey, Vice President of industry  
11 and government affairs for the Vinyl Institute which  
12 represents U.S. manufacturers of vinyl resin or vinyl  
13 plastic, the raw material for myriad, durable, and  
14 energy efficient building products such as window  
15 frames, roofing membranes, siding, flooring, and  
16 others.

17 I appreciate the opportunity to present this  
18 statement. We strongly support initiatives to reduce  
19 building impacts through efficient and sustainable  
20 design, construction and most important operations. We  
21 believe the Department of Energy is on the right track  
22 with these proposals.

23 We commend DOE in particular for proposing to  
24 harness the marketplace to drive sustainability in  
25 federal buildings. DOE rightly recognizes diverse

1 approaches to green building certification systems.

2 As has been noted, LEED, probably the best  
3 known -- is probably the best known commercial U.S.  
4 green building rating system. But Green Globes  
5 recently became the first to win ANSI accreditation for  
6 its assessment protocol for commercial buildings.

7 Encouraging diversity in standards and  
8 certification systems will provide flexibility for  
9 different agencies, priorities and needs and will speed  
10 the development of standards particular to different  
11 types of buildings.

12 Fostering competition among rating  
13 organizations will also stimulate development of more  
14 performance-based criteria and technologies. As the  
15 Department notes in the proposal not all green building  
16 ideas and practices are easily measurable or  
17 quantifiable. And we would add, not all necessarily  
18 result in improved performance.

19 When criteria and rating system and eco-  
20 labels are prescriptive, selective, narrowly focused,  
21 for example, single attribute or otherwise based on  
22 limited or biased evaluations they tend to serve narrow  
23 product interests rather than broader sustainability  
24 goals. Criteria that are based as much as possible on  
25 complete and balanced comparisons of impact among

1 competing products and materials and formed by a life  
2 cycle inventory data will produce the most measurable  
3 results and the most improved building performance.

4 The Vinyl Institute supports transparent  
5 inclusive standards that take into account the full  
6 lifecycle of the building. DOE will help by  
7 encouraging development and adoption of rating systems  
8 and programs that measurably improve whole building,  
9 full lifetime performance.

10 Thank you very much for this opportunity.  
11 And we're happy to provide answers to questions or more  
12 information.

13 MR. RABA: Thank you.

14 MR. NASSERI: Thank you, Allen. Any  
15 questions?

16 (No response.)

17 MR. RABA: Following Flexible Vinyl Alliance.

18 MR. OTT: Thank you. Well, my comments will  
19 be brief, but certainly they're dovetail with my  
20 colleague's Allen Blakey from the Vinyl Institute and  
21 Bill Hall for the Coalition and Erin Shaffer from the  
22 Green Building Initiative.

23 I will start by saying, my name is Kevin Ott.

24 I am the coordinator of the coalition of industry  
25 interests known as the Flexible Vinyl Alliance or the

1 FVA.

2           The FVA was formed in 2009 as an independent,  
3 informal coalition of more than 85 business concerns  
4 including trade organizations, raw material suppliers,  
5 compounders, formulators, molders and fabricators  
6 representing the full flexible vinyl value chain.

7           In terms of where you might find flexible  
8 vinyl in a commercial or residential building, you find  
9 it on the roof, in the power conduits and cable  
10 coverings which speak to fire safety and performance.  
11 You'll find it under your feet in carpets and carpet  
12 backing. And basically flexible vinyl is in the  
13 furnishings. Your arm rests are made of flexible vinyl  
14 this morning. If you keep your elbows on your chair  
15 you're touching flexible vinyl products. So in summary  
16 the flexible vinyl is both ubiquitous and frankly a bit  
17 invisible, but it is everywhere in the commercial and  
18 residential building.

19           I'd like to comment today regarding the NOPR  
20 and the proposed approach for establishing sustainable  
21 design criteria. And, again, reiterating what my  
22 colleagues have said, the flexibility to choose from  
23 certification systems which meet the proposed DOE  
24 criteria is the key to fulfilling important  
25 sustainability and governmental objectives. Green

1 Globes has traditionally placed great emphasis on  
2 energy efficiency credits and the use of lifecycle  
3 assessments or LCA which conforms to the DOE's  
4 sustainable design principles. Alternatively the U.S.  
5 Green Building Council or USGBC has a program underway  
6 to incorporate LCA in LEED and has recently increased  
7 its emphasis on energy efficiency credits and  
8 greenhouse gas reductions, laudable goals.

9 GAO stated in its October 2009 report that,  
10 quote, "that agencies who wanted the flexibility to  
11 choose the green building rating system that best suits  
12 their needs" end of quote, thus giving federal agencies  
13 that flexibility to choose based on the needs of the  
14 project, the agency's priorities, the specifics of the  
15 qualifying certification system and other factors is  
16 essential. Both Green Globes and LEED have merit and  
17 both should be considered under the NOPR.

18 Second, on the matter of EPP or  
19 environmentally preferred products, DOE proposes to  
20 mandate that federal agencies use, quote, "products  
21 that have a lesser or reduced effect on human health  
22 and the environment over their lifecycle when compared  
23 with competing products that serve the same purpose"  
24 end of quote.

25 As DOE suggests, preferred products should be

1 selected in the context of legitimate lifecycle  
2 analysis. Building products and the materials from  
3 which they are fabricated are unique. Each brings  
4 opportunities, efficiencies and cost considerations  
5 among other features and benefits. LCA can help  
6 identify the most sustainable solution at the most  
7 effective cost both to the taxpayer who is ultimately  
8 the funder of federal building renovations and to the  
9 environment.

10 There were well-known consensus standards for  
11 lifecycle assessment and these LCA tools should be used  
12 in the process of identifying preferred products.

13 The FVA thanks you for this opportunity and  
14 we will be submitting more detailed comments by August  
15 12<sup>th</sup>.

16 MR. RABA: Thank you.

17 MR. NASSERI: Thank you, Kevin. Questions  
18 for Kevin?

19 (No response.)

20 MR. RABA: May we hear from the Sustainable  
21 Forestry Initiative.

22 MS. BLOCK: Good morning. My name is Nadine  
23 Block and I'm the senior director of Government  
24 Outreach at the Sustainable Forestry Initiative, SFI.

25 SFI is an independent 501(c)(3) non-profit

1 organization and we are solely responsible for  
2 maintaining, overseeing, and improving the  
3 internationally recognized SFI program, a forest  
4 management certification program. We work with  
5 conservation groups, government agencies, communities,  
6 and the whole forest product supply chain to support  
7 responsible forest management and promote the use of  
8 wood products from sustainably managed forests.

9 We strongly support green building practices  
10 and government efforts to promote the use of energy  
11 efficient construction and appreciate the opportunity  
12 to comment on DOE's proposed rule.

13 So I would like to share some thoughts on the  
14 proposed rule specifically on the sections pertaining  
15 to green building certification systems.

16 I want to also mention that the SFI standard  
17 is recognized by multiple green building rating system  
18 and standards from around the globe including green  
19 globes, the NCGBI, Green Building Assessment Protocol  
20 for commercial buildings, Built Green Canada, the  
21 National Association of Home Builders, and the  
22 International Code Council's National Green Building  
23 Standard, Breen, CASBI, the ASHRAE 189.1 standard for  
24 the design of high performance green buildings, and the  
25 ICC international green construction code currently

1 under development.

2 In regards to the rule I want to state that  
3 we strongly support the approach taken by DOE in the  
4 proposed rule to identify minimum criteria for any  
5 green building rating system that a federal agency  
6 would choose to green rate a building. Choosing a  
7 single green building rating system is disadvantageous  
8 both to the federal government and the marketplace. It  
9 is not the government's role to choose winners and  
10 losers or to create a monopoly system. But rather to  
11 ensure the credibility of any system chosen by a  
12 federal agency to green rate a building. We feel that  
13 the statutory criteria proposed are appropriate to  
14 ensure that credibility.

15 Furthermore, the green building ratings field  
16 is a rapidly changing field with new developments every  
17 year. So instead of minimum criteria, it is far  
18 preferable to a list that reflects only a single point  
19 in time.

20 Finally, having multiple rating systems in  
21 the marketplace and spurring competition among rating  
22 systems is a worthwhile strategy as this competition  
23 has led to significant improvements among all rating  
24 systems.

25 I also wanted to mention that we strongly

1 support the DOE's intention of creating a list of green  
2 building rating systems that are determined to meet the  
3 criteria adopted in the rule and to make that list  
4 available to federal agencies as guidance. For that  
5 list we urge the Department to include the following  
6 green building rating systems that all meet the  
7 statutory criteria. Green globes and the ANSI GBI  
8 green building assessment protocol for commercial  
9 buildings developed by the green building initiative,  
10 the National Green Building Standard developed by the  
11 National Associate of Home Builders and the  
12 International Code Council and Built Green Canada.

13 All of these programs require independent  
14 assessments, have a balance in transparent process for  
15 developing their requirements and are nationally  
16 recognized. It's important to note that both the ANSI  
17 GBI, Green Building Assessment Protocol and the  
18 National Green Building Standard are approved by ANSI  
19 whose guidelines are among the world's most respected  
20 for the development of consensus standards and ensure a  
21 balanced transparent and inclusive process.

22 Furthermore, as Erin noted in her remarks  
23 from Green Building Initiative Green Globes has been  
24 recognized and used governmentwide. It is already  
25 being used in 35 federal agency buildings, is

1 recognized in 20 states and is recognized by the  
2 Council of State Governments, a bipartisan organization  
3 of state policymakers nationwide.

4 In addition to these programs meeting the DOE  
5 proposed criteria they all provide two additional  
6 important aspects; recognition of the positive  
7 environmental aspects of wood products, and recognition  
8 of all credible forest certification systems.

9 In conclusion, I again just want to stress  
10 our strong support for DOE's proposed minimum criteria  
11 for green building rating systems. It's a positive  
12 development and an appropriate role for government as  
13 federal agencies work to promote energy efficiency and  
14 a more sustainable environment.

15 Thank you.

16 MR. RABA: Thank you.

17 MR. NASSERI: Thank you. Any questions?

18 (No response.)

19 MR. RABA: May we hear from the American Wood  
20 Council?

21 MR. GLOWINSKI: Thank you and good morning.  
22 I guess when you go towards the end you start to sound  
23 like you're just saying "me too" but I will try to be  
24 brief.

25 My name is Robert Glowinski. I am the

1 President of the American Wood Council. AWC is the  
2 voice of the North American Wood Products Industry. We  
3 represent a renewable construction resource that  
4 absorbs and sequesters carbon and employs over 180,000  
5 people.

6 I appreciate the opportunity to speak today.  
7 The Council is a strong supporter of improving the  
8 environmental performance of our nation's building  
9 stock. We support the proposal's goal to ensure  
10 federal buildings become more energy efficient and  
11 incorporate sustainable design standards.

12 Wood buildings are easily insulated for  
13 optimal performance without a need to overcome thermal  
14 bridging and thermal mass energy loss. As a  
15 sustainable building material, wood requires less  
16 energy to produce, transport, construct, and maintain  
17 than alternatives. Notably, as a material principally  
18 manufactured using carbon neutral biomass energy and  
19 having the unique characteristic of sequestering  
20 carbon, wood can make significant contributions to  
21 reducing greenhouse gas emissions.

22 Federal agency use of wood products can help  
23 federal buildings achieve energy efficiency and other  
24 applicable requirements in the proposal.

25 The Council supports the proposal's approach

1 to green building certification systems that are open,  
2 transparent, and performance based. DOE proposed three  
3 criteria, one with a subpart and is considering two  
4 more for green building rating systems that federal  
5 agencies may use. The DOE approach correctly  
6 recognizes that there are multiple green building  
7 rating systems currently available that additional  
8 systems may be developed and it is appropriate for  
9 government to recognize all compliant systems without  
10 favoring one over another. Setting objective criteria  
11 for systems to meet and determine which systems meet  
12 that criteria will provide federal agencies with the  
13 flexibility to use systems tailored to their particular  
14 needs. While not all green building rating systems  
15 appropriately recognize the full contribution of wood  
16 products to energy and environmental performance, there  
17 are several that meet the DOE proposed criteria and  
18 fully recognize the value and contribution of wood to  
19 superior environmental performance.

20 Expanding the use of wood products by federal  
21 agencies would certainly help the U.S. government come  
22 closer to achieving both its energy efficiency and its  
23 sustainability goals. I also would note that I agree  
24 with both Bill Hall and Nadine on DOE determining which  
25 systems meet the criteria listed. I believe that

1 having that kind of list would help to avoid any  
2 inconsistent assessment among and across agencies.

3 Thank you for the opportunity to discuss  
4 these issues and of course I'm available for any  
5 questions.

6 MR. RABA: Thank you.

7 MR. NASSERI: Any questions?

8 (No response.)

9 MR. RABA: The Hardwood Federation. Is a  
10 representative from the Hardwood Federation here today?

11 We have a statement that we will have entered  
12 into the record.

13 Let's see, Mr. Jerry Schwartz, is he here?

14 PARTICIPANT: No, I spoke on behalf of the  
15 coalition.

16 MR. RABA: Okay. Thank you.

17 Charles Floyd?

18 (No response.)

19 MR. RABA: Okay. Jerry was representing the  
20 American Forest and Paper Association and Charles is  
21 with the Tall Grass Strategies.

22 Again, we'll have statements in the record  
23 from them too. But we will enter those as well. Thank  
24 you.

25 Moving along. Dupont Companies; is that

1 correct?

2 MR. APPLE: That's correct.

3 MR. RABA: Thank you.

4 MR. APPLE: Good morning. My name is Todd  
5 Apple I'm with the Dupont Company. Dupont has been  
6 around since 1802 providing a variety of products and  
7 services that are science-based.

8 In this particular field Dupont has been  
9 providing building products and services through its  
10 building innovations business for over 30 years and  
11 building innovation is dedicated to reducing its  
12 environmental footprint and enabling zero net energy  
13 buildings that help engineers and designers and  
14 architects reach their energy management and  
15 performance-based design goals.

16 So I appreciate the opportunity to comment  
17 today on behalf of Dupont and we fully support DOE's  
18 efforts in this area to improve the energy efficiency  
19 and sustainability standards for new federal buildings.

20 We are convinced that the federal government can play  
21 a significant role in driving the entire building  
22 construction market towards more sustainable building  
23 practices.

24 I'll restrict my comments to two sections  
25 that were of particular interest to us today. With

1 regard to part 433.4 of Energy Efficient Performance  
2 Standards to optimize the energy performance of  
3 buildings. Cyrus noted in his morning comments that  
4 DOE did indeed issue a final rule back in December  
5 21<sup>st</sup>, 2007 that incorporated the energy efficient  
6 standards that were required by Section 305 of ECPA by  
7 incorporating ASHRAE 90.1 2004 version for commercial  
8 buildings and IECC 2004 for residential. However, a  
9 critical component of any energy optimizing strategy is  
10 the consideration of air leakage across the building  
11 envelope and its impact on a building's performance.

12           There's many references that discuss the  
13 impact of air leakage on HVAC energy use according to  
14 the Department of Energy, National Research Code  
15 Council Canada, NRCC and others, uncontrolled air  
16 movement through the building envelope can account for  
17 up to 50 percent of heating and a significant part of  
18 the cooling loads representing up to greater than 30  
19 percent of a building's annual HVAC costs.  
20 Unfortunately ASHRAE 90.1 2004 or 2007 versions have no  
21 quantitative air leakage rate requirements for the  
22 building envelope.

23           Now, the good news is ASHRAE 90.1 2010 does  
24 include requirements for continuous air barrier  
25 materials and assemblies. And we realize that DOE is

1 required to review and revise energy efficient  
2 requirements for fed buildings as the voluntary  
3 industry codes are updated and also recognize that DOE  
4 intends to address this issue in a separate rulemaking.

5 However, we just strongly recommend adopting the  
6 continuous air barrier requirements in ASHRAE 90.1 2010  
7 standard.

8 Furthermore, we believe that in order to have  
9 the greatest impact on the ultimate performance of the  
10 building in addition to a material and assemblies  
11 meeting of specifications it's imperative to test whole  
12 building air tightness. In our experience improper  
13 installation techniques and poor quality assurance  
14 throughout the construction process can result in very  
15 poor overall building performance with regard to air  
16 leakage. And therefore we are recommending that DOE  
17 consider adding an additional performance standard  
18 requirement for the whole building performance such as  
19 the United States Corps of Engineers air leakage  
20 requirements. USACE requires all new buildings to pass  
21 a blower door air leakage test where the results must  
22 be less than or equal to .25 cubic feet per minute per  
23 square foot of exterior envelope at a 75 Hascal  
24 pressure.

25 We also believe this is consistent with DOE's

1 proposed requirement that a federal agency demonstrate  
2 that the energy used at a minimum in the first year of  
3 a building's green building certification is consistent  
4 with the energy use identified as part of that process  
5 and consistent with -- this is also consistent with the  
6 guiding principles of an MOU that directs the federal  
7 agencies to establish a whole building performance  
8 target.

9           There's another section with regard to Part  
10 433.6 under the sustainable design principles for  
11 siting, design, and construction. Specifically around  
12 paragraph 5 and moisture control, we are concerned that  
13 potential moisture issues could develop in some default  
14 assemblies without more specific language around  
15 moisture control.

16           For example, the energy code requirement for  
17 continuous exterior installation could lead to wall  
18 assemblies with double vapor barriers or retarders and  
19 drastically reduce the assemblies' ability to manage  
20 incidental moisture intrusion. And so we would  
21 recommend that consideration be given to incorporate  
22 language that would prevent such unintended  
23 consequences.

24           And, finally, we do support DOE's goal  
25 requiring federal agencies to demonstrate the energy

1 use of a certified green building is indeed consistent  
2 with the energy targets that were identified under the  
3 green building certification program. And we also  
4 support the subsequent energy auditing requirement that  
5 can be periodically conducted throughout the building's  
6 useful life to ensure that the building maintains its  
7 performance level.

8 So that concludes -- we'll be filing  
9 additional comments before the August 12<sup>th</sup> deadline.  
10 So thank you for the opportunity to participate in the  
11 meeting and providing comments.

12 MR. RABA: Thank you.

13 MR. RABA: Thank you very much, Todd. Any  
14 questions for Todd?

15 MR. NASSERI: I have some more explanation  
16 Todd brought up two or three issues that I would like  
17 to tell you (inaudible) (off mike) my presentation.  
18 One thing that was amended by Congress said that any  
19 time the referenced standard is updated we should visit  
20 those standards and if it's positive determination they  
21 should be raise the floor. What we did was we have  
22 that on the agenda to do that determination. That is  
23 for ASHRAE Standard 90.1 and this is going back to the  
24 air leakage issue. As I -- as you recall we are having  
25 (inaudible) 2004. ASHRAE every three years updates

1 their standard and the 2007 is already published and  
2 also 2010 will be available in next meeting of ASHRAE  
3 which would be in the winter in Las Vegas, a very good  
4 location. And so then as ICC is concerned, the same  
5 thing, the 2009 is already published and they're  
6 working on 2012 issue. What we have to do, we have to  
7 visit both of those baseline standards for federal  
8 buildings and we are going to do that.

9 One thing, as you mentioned, air leakage is  
10 mentioned in the 2010 ASHRAE. Also, I'm glad that you  
11 mentioned that we worked very closely with the -- and  
12 talk about air leakage as part of the FEMP  
13 responsibility to coordinate and work with other  
14 agencies and Alexander Juval and other people are  
15 working Seril, they work are very much again with Seril  
16 and once you have found the issue with the air leakage  
17 they are very much -- are doing that with other  
18 agencies as part of our responsibilities. We are  
19 considering all that. I just want to mention that.  
20 Okay. Very well.

21 MR. RABA: Let's proceed. U.S. Fuel Cell  
22 Council.

23 Say again, please?

24 PARTICIPANT: (Off mike.)

25 MR. RABA: Would you step to the microphone

1 please and state your name?

2 MS. HARKINS: I'm Erica Harkins for the U.S.  
3 Fuel Cell Council. Bob Rose was going to make a  
4 statement, but he's not able to attend today.

5 MR. RABA: Did you want to make it on his  
6 behalf?

7 MS. HARKINS: Oh, okay.

8 MR. RABA: You don't have to.

9 (Laughter.)

10 MS. HARKINS: Okay. I won't.

11 MR. RABA: We'll have this in the record.  
12 It's in the record. Thank you. Thanks for the  
13 information.

14 MR. NASSERI: Great.

15 I think, Jim, at this point, did anybody else  
16 that -- I don't know if we have received all the  
17 statements, anybody else that would like to make any  
18 presentation? It looks like we are ahead of our  
19 schedule very well.

20 MR. RABA: Well, that's good so far. And the  
21 floor is open. Anybody who would like to have a  
22 chance, opportunity, you would like to comment, raise  
23 your hand and have me recognize you. Yes, sir.

24 MR. HANSON: My name is Dane Hanson with the  
25 International Association of Plumbing and Mechanical

1 Officials. Just a bit of background about ourselves.  
2 We were founded in 1926. Currently we are the only  
3 trade associate developing plumbing codes which are --  
4 that are accredited by the American National Standards  
5 Institute in the open consensus process. The  
6 membership of IAPMO is comprised of plumbing and  
7 mechanical inspectors, engineers, code officials,  
8 plumbing and mechanical contractors, water energy  
9 efficiency experts, manufacturers of plumbing and  
10 mechanical and building products. Currently our codes  
11 are adopted throughout the country and throughout the  
12 world and recently were adopted in the country of  
13 India.

14 It is estimated now that approximately half  
15 the world's population is under IAPMO code now with the  
16 adoption of India.

17 But my purpose here today that I'm talking  
18 about is under the industry standards in the NOPR  
19 document it mentions several items and several  
20 standards out there and currently one that we felt that  
21 needs to be addressed and brought up is the -- it's  
22 called the International -- IAPMO's green plumbing and  
23 mechanical supplement. It's a code supplement which is  
24 a very aggressive green stretch code.

25 A little background about that, it wasn't

1 just an -- it was an open consensus process as well  
2 with input from ASHRAE, the American Rainwater  
3 Catchment Association, America for Water Efficiency,  
4 the Green Mechanical Council, Green Plumbers, The  
5 Plumbing Manufacture Institute, which are the  
6 manufacturers of the plumbing products, PHCC, World  
7 Plumbing Council, United Association of Plumbers which  
8 is about 380,000 plumber unions from across the  
9 country. These are all people who gave input into this  
10 code. And it does provide the first and only green  
11 plumbing supplemental out there today. So we really  
12 encourage that.

13 Just an estimate of Chapter 4, this code of  
14 this plumbing supplement by adopting the water --  
15 indoor water use, you'll save between 20 and 30 percent  
16 of water usage just by those provisions in there which  
17 addresses rain water, gray water, and on and on. And  
18 we'll be providing written comments to further up on  
19 that. But I just wanted to get that out there.

20 MR. RABA: Thank you.

21 MR. NASSERI: Thank you.

22 Have you sent that -- we recommend that you  
23 send that with your comments?

24 MR. HANSON: Yeah, we'll definitely. Yes.

25 MR. NASSERI: Any questions?

1 (No response.)

2 MR. NASSERI: Anybody else?

3 MR. RABA: The floor is still open to  
4 anybody. Yes, sir.

5 MR. ROSSOLO: My name is Mark Rossolo. I'm  
6 with the Greenguard Environmental Institute. We'll be  
7 submitting comments that will reiterate everything I'm  
8 saying. But I just wanted to jump up really quick  
9 because there's been a couple of things said that I  
10 wanted to elaborate on.

11 To give you a quick background we've been  
12 involved in the indoor air quality business since 2001.  
13 We certify products for the chemical emissions and we  
14 give them a rating. We also do work in the mold and  
15 moisture category. We have an ANSI standard that deals  
16 with that. The GEI MMS ANSI standard. We actually  
17 share Dupont's concern about the moisture category  
18 being very vague. So we would strongly encourage you  
19 to tighten that up a little bit. And in our comments  
20 we'll be giving you some specific guidelines to that.

21 I wanted to talk a little bit about the  
22 products that you are putting into these buildings.  
23 We've heard a lot of the representatives talk about  
24 lifecycle assessment and making sure that you are using  
25 an LCA which we very strongly support in terms of

1 overall sustainability. However, what I haven't heard  
2 of is anybody talking about the human health aspect of  
3 this and that's ensuring that these products you're  
4 putting in have a low chemical emissions.

5           The problems that we are seeing, and we have  
6 a number of studies of very highly rated LEED buildings  
7 out there that are showing this and it's not just LEED  
8 that's the problem, but there's also other green  
9 buildings that show this as well. They have very tight  
10 energy envelopes, very tight building envelopes and so  
11 what that means is your chemical emissions inside those  
12 buildings have a lot more effect on the human health  
13 than the buildings that weren't quite as sealed up,  
14 they weren't quite as energy efficient.

15           So it's very, very important that we're  
16 thinking about these chemical emissions that are coming  
17 off of these products, whether it's your insulation,  
18 your flooring, your ceiling tiles, whatever, I strongly  
19 encourage that that be some sort of -- I don't want to  
20 say prerequisite but very strongly looked at.

21           The problem with in LCA is you're weighing in  
22 a lot of different factors, where it came from, what  
23 it's used, the type of energy it did, and human health  
24 sometimes can get pushed to the bottom of that because  
25 it's not as fun to talk about or it doesn't have quite

1 the pay back. But for these buildings, particularly a  
2 federal building where you're setting precedent and  
3 you're showing the country what's important, making  
4 sure that there's that human aspect is very, very  
5 important. So I just wanted to say that. So thank you  
6 very much.

7 MR. RABA: Thank you. That's helpful.

8 Anyone else, please?

9 MR. NASSERI: Let me say a few words before  
10 the next one. I think some of these issues in your air  
11 quality and things are somehow covered in ASHRAE 62.1  
12 and 60.2. Russ, do you confirm this?

13 MR. CARLSON: Yes.

14 MR. NASSERI: Yeah. So we do have some --  
15 those are basically the reference standard for  
16 sustainability. So we do have. And then also 55 will  
17 basically cover some of the issues such as you were  
18 mentioning.

19 MR. ROSSOLO: Can I respond?

20 MR. Calamita: If I could also just add one  
21 more thing. If you take a look at the NOPR and the  
22 proposed reg text, we do have a section on low emitting  
23 materials. So I would direct you to that and if you  
24 have any specific comments on that provision as  
25 proposed, you are welcome to offer them now or through

1 your written comments.

2 MR. ROSSOLO: Yeah, we'll talk about the low  
3 emitting -- we had some very specific comments about  
4 that. Our really only concern we like that that's in  
5 there, it's a little general. It's so much of the  
6 moisture so it leads a lot open for interpretation.  
7 But we did notice that and we do know that there is  
8 some thought to that.

9 MR. RABA: Is there a response? You've been  
10 very patient, thank you.

11 MR. HALL: Oh, that's fine. We're way ahead  
12 of schedule, so that's the good news.

13 I just wanted to point out that each of the  
14 major green building rating systems that will meet the  
15 criteria also have credits for the use of low VOC  
16 materials such as for vinyl flooring there's a floor  
17 score program that certifies that products meet the  
18 California 1350 low VOC requirements and that's in  
19 Lane, it's in Green Globes, it's in NAHB. There's a  
20 similar requirement in program for carpet. So I think  
21 a lot of the VOC issues and indoor air quality issues  
22 are already being met by the rating systems that will  
23 be recognized as meeting the criteria.

24 And just to follow up on an earlier point,  
25 and for that reason, since all these rating systems

1 actually do incorporate EPP requirements, whether it's  
2 for indoor air or biobased energy efficiency that was  
3 the basis for at least my concern that adding a EPP  
4 requirement that goes beyond that is something that's  
5 not needed. Thank you.

6 MR. RABA: Thank you. Ah, more hands go up.

7 Yes, sir, you're first and second over there.

8 MR. CARMEL: Dave Carmel with the  
9 International Code Council. Just a clarification or  
10 correction for the record. Mr. Hanson stated that  
11 IAPMO is the only ANSI accredited organization that  
12 publishes a plumbing code. The fact is, the  
13 International Code Council is accredited by ANSI. We  
14 published, I think, seven or eight ANSI accredited  
15 standards and we publish the International Plumbing  
16 Code which is used in over 40 states. Thanks.

17 MR. HANSON: But isn't the International  
18 Plumbing Code not done through the ANSI accreditation  
19 process?

20 MR. CARMEL: And neither is the Green  
21 supplemental, as I understand it.

22 (Simultaneous conversation.)

23 MR. HANSON: But our uniform plumbing code  
24 which I was speaking about is.

25 MR. CARMEL: I didn't say it was.

1           MR. HANSON: I know, but you just said that  
2 your International Plumbing Code is an ANSI accredited  
3 --

4           MR. CARMEL: No, I did not. I corrected your  
5 statement, sir.

6           MR. RABA: That's Dan Hanson over here from  
7 IAPMO and --

8           (Simultaneous conversation.)

9           MR. CARMEL: I was simply correcting your  
10 statement, you said, IAPMO is the only ANSI accredited  
11 organization --

12          MR. HANSON: No, our plumbing code.

13          (Simultaneous conversation.)

14          MR. HANSON: Our plumbing code is the only  
15 ANSI accredited plumbing code.

16          MR. CARMEL: Well, that's not what you said.

17          MR. RABA: Okay. Thank you. Noted for the  
18 record.

19          Yes, in the back. Come on down.

20          MS. VAUGHAN: Good morning. And thank you.  
21 That is sort of spur or the moment, but my name is  
22 Ellen Vaughan and I'm with the Environmental and Energy  
23 Study Institute. I lead the buildings initiative for  
24 EESI. And I just wanted to make a couple points. We  
25 very much support the notice of proposed rulemaking

1 intention. And some of the comments that were made  
2 today, I think talked about performance attributes and  
3 just in general even though EESI our big focus is on  
4 sustainable development and reducing greenhouse gas  
5 emissions through energy efficiency, focus on renewable  
6 energy, so, of course we would love to see all building  
7 be net zero energy carbon neutral if possible.

8 But, we recognize that all performance  
9 attributes of a building are, you know, essential. If  
10 you have a green building that falls down in a wind  
11 storm, it's not very sustainable. So we really, really  
12 support this approach of holistic planning and looking  
13 at all attributes at the outset, security,  
14 accessibility, energy efficiency, productivity,  
15 functionality, you know, all those things, the high  
16 performance building caucus and coalition has a lot of  
17 information on this as does the whole building design  
18 guide that many agencies use. So that was one point.

19 Also so critical to use the integrated design  
20 process, integrated team approach and there's no magic  
21 bullet, there's no one product, no one rating system  
22 that's going to create a sustainable building. The  
23 only magic bullet might be that you use this integrated  
24 approach.

25 We've been disappointed to see that FEMP has

1 eliminated most of its training on whole building  
2 design and so we are hopeful that that could be a  
3 focus.

4 And, finally, just wanted to recognize the  
5 importance again of thinking about how all of these  
6 things are connected. And I know that, excuse me, DOE  
7 is addressing the fossil fuel reduction requirements in  
8 EISA separately, but I just really encourage that these  
9 things are thought of together. Obviously need to  
10 think about what renewable energy requirements will be  
11 needed, excuse me, to reduce energy -- fossil fuel  
12 energy in sustainable buildings. So thanks so much.

13 MR. RABA: Thank you.

14 MR. NASSERI: Let me, you mentioned the whole  
15 building design training. We do work with whole  
16 building design very much in their meetings. And we  
17 basically FEMP appropriated some funding for that  
18 activity of this whole building design. And if you  
19 think FEMP should focus more on training on that, we  
20 kind of leave it to them, you know, in supporting their  
21 activities for that.

22 MS. ROGERS: Hi. I'm Melissa Gallagher-  
23 Rogers. I'm from the U.S. Green Building Council. I  
24 just wanted to echo some of the comments that were made  
25 earlier today about focus on building performance. And

1 mention that in addition to the LEED for new  
2 construction standards which are widely used we have  
3 about 3,000 projects from the federal government in the  
4 queue right now. There is a LEED for existing  
5 buildings operations and maintenance rating system and  
6 then in addition in terms of focusing on building  
7 performance after certification we have a building  
8 performance partnership that allows for tracking and  
9 management of data and looking at building performance.

10 So certainly we will provide additional written  
11 comments, but I just wanted to echo that support. It's  
12 really critically important that we all focus on the  
13 building performance post-certification. So, thank  
14 you.

15 MR. RABA: Okay. Thank you. Further  
16 volunteers to speak.

17 MR. NASSERI: Jim, I recommend -- it looks  
18 like we are really ahead of our schedule. If we can go  
19 to that session on question and answer and then if  
20 possible we basically can adjourn before our scheduled  
21 12:30. That's my recommendation.

22 MR. RABA: What a motivational speech that  
23 is.

24 (Laughter.)

25 MR. RABA: Well, that's a good point though.

1 We've heard some great comment, some great statements,  
2 a lot of good interest, a lot of good togetherness if I  
3 may say that on these matters. It's all positive right  
4 here. And I think we would like to respond, and by  
5 popular demand probably ask for going back and  
6 revisiting the highlighted questions that were in the  
7 last three or four slides of your handout. So while I  
8 play with this to make it work, please go back and take  
9 a look at your handout where it began, what are your  
10 comments? And think first to direct some of your  
11 thoughts, again, refocus them if you will, on the first  
12 one, how do balance cost increases versus improved  
13 sustainability. Cost increases improved  
14 sustainability. Any thoughts directed on that  
15 question?

16 (Pause.)

17 MR. RABA: Going once. Right there.

18 MR. BARRY: Hi, my name is John Barry. I  
19 represent the International Union of Operating  
20 Engineers National Training Fund. We represent a group  
21 of union stationary engineers in the United States and  
22 Canada that are 120,000 strong, and the people that  
23 most often operate and maintain commercial facilities,  
24 including this one, and a lot of other government  
25 facilities. I have a couple questions. One is with

1 regard to how to balance cost increases and improve  
2 sustainability. All the plans, the best made plans are  
3 normally laid to waste by lack of execution. The  
4 people that are normally tasked with making sure that  
5 these facilities operate and are maintained correctly  
6 are stationary engineers. One of the things that I  
7 don't see in this particular section and in the  
8 coverage of existing buildings is a way to make sure  
9 that it happens. And including stationary engineers is  
10 always an afterthought because they're always there  
11 after the building is built. They're the people that  
12 are most likely to be able to deliver the thoughts,  
13 ideas, and make the execution of the plan work.

14           So, my question would be, have you considered  
15 including some provision in this and commissioning  
16 processes that would enable there to be somebody like a  
17 stationary engineer that has the on-the-ground, real-  
18 life experience, somebody like myself, I'm a licensed  
19 engineer in the District of Columbia. My career has  
20 been made off of running facilities like this and  
21 making sure they're right. After they're designed and  
22 they're put in place, it's kind of a done deal. It's  
23 then my job to make it work. So of all of the people  
24 that I represent, and all of the folks that can have an  
25 impact on this program being efficient, you know, how

1 is the energy auditing going to be done that Todd from  
2 Dupont talked about? How are the requirements that  
3 you're, you know, putting into place going to be made  
4 whole? And, you know, the federal government, if they  
5 have sustainable building policy how are you actually  
6 going to make sure that it's implemented and recorded?

7 So balancing costs versus improved sustainability a  
8 lot of times, and I'll speak specifically to that, I've  
9 experienced -- I've actually brought buildings out of  
10 the ground from pure ground all the way to the top,  
11 read the specification, made sure that they were put in  
12 place, did the punch list and saw how the costs would  
13 drive sustainability and how things are taken out of  
14 the building design because it costs too much.

15 Going forward the federal government has a  
16 deficit as do most of the states and everybody else  
17 known to man. In this economy we're in a poor place to  
18 be demanding that we have highly efficient facilities  
19 when we have champagne taste and Budweiser wallet.  
20 You're not going to make it happen.

21 In a lot of cases the proof of the pudding is  
22 in the tasting, how well do we do with what we do?  
23 Case in point, we're standing in a room that I don't  
24 consider to be extremely comfortable. No disrespect.

25 (Laughter.)

1           MR. BARRY: There's a pneumatic thermostat on  
2 that wall in the age of electronics, there are no  
3 return vents in here and there is definitely a lot of  
4 ways to make this place operate much more efficiently  
5 as are all facilities. So my question would be, who is  
6 going to implement the plan? What are going to be the  
7 checks and balances to make sure that they happen? And  
8 how are we going to implement and provide a strategy  
9 that will enable us to do the things that you want to  
10 do without it being 100 percent cash input? Because  
11 there are a lot of ways to make existing buildings  
12 perform without going broke. Thank you.

13           MR. RABA: Most helpful. Thank you very  
14 much.

15           MR. CALAMITA: This is Chris Calamita again  
16 with DOE. If I could just respond broadly to some of  
17 those points. As Richard Kidd had indicated early on,  
18 this is one component of multiple activities that we're  
19 pursuing both under Executive Order and under statute.  
20 So this is to set up the design criteria. Section 432  
21 of EISA directed the federal government to set up a  
22 commissioning and recommissioning process and then also  
23 identify energy managers for buildings and has an  
24 auditing requirement. So we're looking to that as the  
25 complement to what we're doing here.

1           MR. BARRY: To redirect real quick. One  
2 thing, and that's great stuff. We did see that. One  
3 of the things that I did want to say was that in the  
4 design process it's very unusual to have people at my  
5 level part of that process. But it's something that  
6 you may want to consider because it's not been done. I  
7 know it can be done. I know that this process can be  
8 done more efficiently if you have the people who are  
9 actually going to be in the building present during  
10 that process and part of this process. So there are a  
11 lot of -- there's a lot of good that can be had there  
12 and it's not necessarily something that has to be done  
13 for everything, but there's a lot of input you can get  
14 from people at the craft level that can help you make  
15 your buildings from the design phase more efficient.

16           Thank you.

17           MR. RABA: Over here, first.

18           MR. MONTGOMERY: Hang on, I've got another  
19 answer for you.

20           MR. RABA: Yes, please.

21           MR. MONTGOMERY: I've got another answer for  
22 you. Ross Montgomery ASHRAE. From the ASHRAE  
23 perspective part of our comments we're asking to have a  
24 lot of our other standards included in this Part 433,  
25 one being guideline zero which is on commissioning and

1 it involves the maintenance and operation personnel  
2 from the get-go, from the beginning to the end. And  
3 then also another standard that we publish is the  
4 maintenance and operation standard 180 which takes the  
5 building after it's built and then properly maintains  
6 and operates it for its life. So we're asking for  
7 those two things to be included. So hopefully we can  
8 help you there.

9 MR. RABA: Great. Now here. Thank you.

10 MS. SHAFFER: Erin Shaffer, Green Building  
11 Initiative. I just want to add and support the  
12 comments that were made. In fact the Green Globes  
13 systems for new construction, major renovation, and our  
14 existing building tools provide within the project  
15 management section an entity gets credit or gets points  
16 for setting up and having those kinds of ongoing  
17 meetings with the key players, the engineers, the  
18 unions, the tenants and whatnot so that they are  
19 involved in the process, just as you stated, from the  
20 early stages then they can provide significant input to  
21 the design and then get to the point where there's  
22 commissioning and actual operations of the building  
23 because we think that's a critical component of having  
24 a building that actually operates to the design specs.

25 MR. RABA: Great. Thank you. Yes, sir.

1           MR. APPLE: I would just add one comment. My  
2 name is Todd Apple with Dupont. We were recently  
3 involved with a workshop that was conducted jointly by  
4 AIA, American Institute of Architects and the General  
5 Services Administration. Kevin Campshore's  
6 organization on the high performance federal buildings.  
7 On this issue specifically around commissioning,  
8 recommissioning, and persistent commissioning, if you  
9 will, how and he had representatives from every agency  
10 in the federal government with regard to facility  
11 managers and working on this longer-term solution, how  
12 do you make these changes stick over the long term in  
13 the operation. So there is, I guess, good news that  
14 there is work going on inside the agencies that  
15 identify this as a gap that we need to close.

16           MR. RABA: Great. Thank you. And you'll be  
17 submitting written comments; yes?

18           MR. APPLE: Yes.

19           MR. RABA: Great. Thank you.

20           MR. BARRY: Okay. Next one? Should existing  
21 green building systems be preapproved as meeting  
22 acceptable certification systems that agencies can  
23 voluntarily use; and two, sustainable design  
24 requirements in the rule. Thoughts and comments on  
25 that area. In the back, please?

1           MS. BLOCK: Nadine Block with the Sustainable  
2 Forestry Initiative. We did address that question in  
3 our statement, but I actually did just want to add one  
4 additional point which is we do support, as I  
5 mentioned, a list that would approve green building  
6 rating systems that meet the criteria laid out in the  
7 rule. But as I noted, this is a rapidly changing arena  
8 and I would encourage -- I don't believe I saw in the  
9 rule any mention of how that would potentially be  
10 updated in the future. So I would encourage the agency  
11 to consider how that can be continually reviewed and  
12 updated as needed as there may be new standards or  
13 rating systems that come into the market that would be  
14 appropriate for agencies to consider as well.

15           MR. RABA: Great. Thank you. Anybody else?

16           MR. HALL: Bill Hall, just for the record  
17 just to reiterate that the North American Building  
18 Coalition supports DOE's making that determination in  
19 the final rule and I know that the Wood Council did as  
20 well.

21           MR. RABA: I see nodding of heads in the  
22 affirmative. Okay. Next one.

23           How to apply standards leased to buildings.  
24 This one here, does anyone have any comments on this  
25 particular one here?

1 (No response.)

2 MR. RABA: Three percent or other limit on  
3 total construction costs increase the rule.

4 Correctional lifecycle on lifecycle cost  
5 increases?

6 Am I going to fast?

7 Too slow?

8 PARTICIPANT: Too fast.

9 MR. RABA: All right. Thank you for stepping  
10 up.

11 MR. COLKER: Hi, Ryan Colker, National  
12 Institute of Building Sciences. To get to the 3  
13 percent or other limit on total construction cost  
14 increases, I think that there's probably some  
15 arbitrariness, number one, to that 3 percent. And then  
16 second to that, total first costs should not be a  
17 consideration in making decisions on construction. It  
18 should be based off of lifecycle costs and other  
19 requirements that are mentioned within the proposed  
20 rule. Thanks.

21 MR. RABA: Thank you. Of course. Thank you.  
22 Others?

23 (No response.)

24 MR. RABA: Okay. Then, first of all  
25 lifecycle cost increases? Comments, thoughts?

1           How should "major renovation" be defined?

2           I presume written comments we'll hear from  
3 you there.

4           How should the requirement for 30 percent hot  
5 water demand be provided by solar? If a lifecycle cost  
6 effective?

7           Yes, sir.

8           MR. CARLSON: This is Matt Carlson from  
9 Sunnovations. It looks like I'm the only solar hot  
10 water person in the room, so maybe I should comment.  
11 But really my question was about the question which is,  
12 is it -- when you're asking how it should be  
13 implemented, is it in the measurement of what the load  
14 will be or the post-construction measurement of whether  
15 that 30 percent requirement is being met? Because  
16 those are two different questions, I guess.

17           That the load estimation is a relatively  
18 straightforward one. For residential applications  
19 there are studies including one by the Florida Solar  
20 Energy Center that has done some modeling on proposed  
21 load or the load in a residence based on location and  
22 number of occupants, solar energy, et cetera. And then  
23 on the commercial side California has a substantial  
24 solar hot water program where they've done a lot of  
25 work. So that may be one program that you may wish to

1 look at for some guidance.

2 On the back end in terms of measuring whether  
3 the 30 percent standard has been met, the solar rating  
4 certification corporation, the SRCC which does get  
5 some, I must say, very modest funding from the Energy  
6 Efficiency and Renewable Energy (EERE) is the standards  
7 and certification organization for the solar thermal  
8 industry and it does provide guidance as to what the  
9 estimated output for a given system will be. And  
10 that's an OG300, they are OG300 rating and  
11 certification program.

12 MR. RABA: Okay.

13 MR. COOK: Jim, if it's all right, this is  
14 Keith Cook from Phillips Lighting representing NEMA.  
15 We would like to comment on a few of the previous  
16 items. On the first one, NEMA does not agree with the  
17 conclusion that leased buildings should be limited to  
18 only those where the agency has significant design  
19 control. We feel that EISA 2007 set the goal of  
20 achieving net zero commercial buildings for all new  
21 buildings by 2030.

22 Half of the commercial buildings stocked by  
23 2040 and all commercial buildings by 2050. If we are  
24 to achieve this goal the federal government should  
25 require that any space it leases, not just new leased

1 buildings, meet a minimum level of energy efficiency.

2           The federal government has to set the  
3 direction by incorporating all space it utilizes into  
4 energy considerations. At the very least every space,  
5 building utilized by the federal government should meet  
6 ASHRAE 90.1 2004 for other than residential and ICC  
7 energy conservation code 2006 for residential.

8           On the second and third bullets we would like  
9 to comment that the reference to the 3 percent first  
10 cost limitation should also be removed. And NEMA does  
11 not agree that the 3 percent figure should be added to  
12 the extent practicable language. Evaluations should be  
13 based on the increased cost compared to the energy of  
14 other cost savings over time. When standards such as  
15 ASHRAE 90.1 were developed the cost justification are  
16 already taken into account. The objective is to ensure  
17 that the total lifecycle of the building is included as  
18 part of the overall cost evaluation. In many cases  
19 more than the 3 percent increased costs can easily be  
20 recovered by the energy savings over time.

21           And, on the major renovations. NEMA agrees  
22 that the 25 percent threshold for major renovations is  
23 suitable. We would also like to note that the  
24 renovations could result from any situation including  
25 new space, changes in use of the building, or

1 renovations to take advantage of increased operating  
2 efficiencies. Thank you.

3 MR. RABA: Thank you. I'll ease up for a  
4 moment to look the over again if there's anybody who  
5 would like to comment or questions on these items of  
6 further remarks?

7 Any?

8 (No response.)

9 MR. RABA: Should ASHRAE indoor air quality  
10 guide or other industry IAQ guides or standards be  
11 referenced in the rule?

12 Yes, please, up there first and then over  
13 here at the table second.

14 MR. ROSSOLO: Mark Rossolo from Greenguard  
15 Environmental Institute again. I'll just -- I think I  
16 already pretty much said my piece. You can understand  
17 why I'm up here. We are very favorable and supportive  
18 of the ASHRAE indoor air quality guide. In fact,  
19 Greenguard certification is listed, I believe, in their  
20 reference section. I would strongly urge you to look  
21 at some of the other certifications out there for IAQ.

22 Greenguard obviously being, we feel, the most  
23 stringent. There's also industry-based ones such as  
24 the one that Bill brought up for Floor Score that we  
25 would encourage you to look at as well.

1           So we do think that certifications in  
2 addition to the IAQ guidelines would be a good idea  
3 specifically when you're talking chemical emissions and  
4 we'll elaborate that. But I just wanted to reiterate  
5 that point.

6           MR. RABA: Okay. Yes, please.

7           MR. MONTGOMERY: Ross Montgomery, ASHRAE.  
8 I'm obviously going to speak in support of the ASHRAE  
9 IAQ guide. But I want to remind everybody that it was  
10 a joint effort of ASHRAE, AIA, BOMA, USEPA, SMCNA and  
11 USGBC, so it wasn't just ASHRAE, it had lots of other  
12 people involved.

13           MR. RABA: Good point. I'm sure they  
14 appreciate it. Yes, come back to us.

15           MR. BARRY: John Barry from the Operating  
16 Engineers. We submitted comments on this particular  
17 one. The International Union of Operating Engineers  
18 started an indoor air quality program in 1993 and has  
19 been doing that training of engineers. We have now  
20 reached a threshold where we've trained stationary  
21 engineers with responsibilities of over two billion  
22 square feet of office or commercial space in the United  
23 States. And we recently released an indoor air quality  
24 training guide as did ASHRAE and it was in conjunction  
25 with the U.S. EPA. So we had said in our comments that

1 if that was going to be recommended it should be used  
2 in conjunction with the IAQ guide for stationary  
3 engineers that operate and maintain these facilities.

4 MR. HALL: Bill Hall again. And just to  
5 reiterate what I said earlier, and in support of what's  
6 been said since, we do believe DOE should reference  
7 appropriate industry IAQ guides. And the starting  
8 point as to where to find them should be in the rating  
9 systems that meet the minimum criteria so Fourscore  
10 would be there, the carpet standard would be there,  
11 ASHRAE is there, and a host of others. Thank you.

12 MR. RABA: Good point. Anyone else, please?

13 Radon. How should radon be addressed in  
14 commercial and residential buildings? Yes, please.

15 MS. SHAFFER: Erin Shaffer, GBI, that's  
16 actually an issue that came up a number of times as our  
17 Green Globes was going through the ANSI process and  
18 we'll be submitting comments on radon in commercial  
19 buildings in our more complete written comments.

20 MR. RABA: That's important. Thank you.

21 Others, please?

22 (No response.)

23 MR. RABA: How should construction waste be  
24 addressed?

25 (No response.)

1 MR. RABA: Do you need to give it some  
2 thought? Okay. We can go back if we want to.

3 Should ozone depletion --

4 MR. NASSERI: Depletion.

5 MR. RABA: Should ozone depletion be  
6 addressed and if so, how?

7 Ozone depletion.

8 Think about it.

9 Should actual energy use in buildings be  
10 designed to this code to be collected and reviewed and  
11 if so, how should this data be used? There's a lot of  
12 thought going on out there.

13 Yes, please.

14 MR. MONTGOMERY: Ross Montgomery, ASHRAE.  
15 Well, obviously if that energy data is collected it  
16 would be used as a part of the CBEC's database which  
17 has been going on for years and years and years. So it  
18 would be a good idea.

19 MR. RABA: And CBEC's is?

20 (Simultaneous conversation.)

21 MR. RABA: Commercial Building Energy Codes.

22 Thanks. Thank you.

23 Yes, please.

24 MR. COOK: Keith Cook representing NEMA.

25 NEMA believes that the reviewing energy use after the

1 first year is an extremely important consideration that  
2 must be included in the final regulation. We note that  
3 this is consistent with the existing major programs  
4 such as ENERGY STAR for buildings where 12 months of  
5 operational data is required before the rating can be  
6 obtained. Our experience shows that most buildings,  
7 even those designed using suitable -- excuse me  
8 sustainable design principles do not achieve their  
9 expected energy levels without continuous lifecycle  
10 management. We would further recommend that the DOE  
11 include rules that require reviews at four-year  
12 intervals as well. Improper adjustments to the system  
13 by users as well as improper maintenance can have  
14 significant impacts on the energy performance and can  
15 occur at any time during the life of the building.

16 In addition, DOE should consider language  
17 that will require that appropriate steps will be taken  
18 to correct any problems found during the reviews.

19 Thank you.

20 MR. RABA: Yes, go ahead.

21 MS. SHAFFER: Erin Shaffer, GBI. I want to  
22 comment on that because in fact one of the tools that I  
23 mentioned that we have that works in conjunction with  
24 our new construction tool is our continual improvement  
25 of existing building tool. It incorporates the ENERGY

1 STAR Portfolio Manager within it. It does 12 months  
2 of operational data. So it calls for utility data, so  
3 you've got energy and water. So we would agree that  
4 use of actual energy data is great to incorporate,  
5 track and incorporated into the CBEC database, but we  
6 would say going beyond just energy to incorporate  
7 water, environmental management, the kinds of things  
8 that are in a rating system that looks at the whole  
9 building and all of the operation and maintenance  
10 performance that actually is relevant. It's not just  
11 energy.

12 MR. RABA: Good point. Thank you. Yes,  
13 please.

14 MR. APPLE: Todd Apple with Dupont. Just  
15 adding, we believe that in energy advance metering,  
16 requirements of federal buildings, I believe this is  
17 statutory that is has to be for federal buildings for  
18 this energy use to be collected. Is my understanding  
19 correct? By Executive Order.

20 MR. CALAMITA: Chris Calamita, DOE. You're  
21 correct there is a statutory requirement for advance  
22 meters to the extent practicable. And as I said,  
23 there's a number of auditing requirements both through  
24 Executive Order and through statute.

25 MR. RABA: So, it's been great so far.

1 MR. NASSERI: Go over your closing remarks.

2 MR. RABA: Well, I'll tell you what, you've  
3 been great today. We've covered a lot of ground, a lot  
4 of good things today to take back for consideration.  
5 We are still away ahead of schedule to your credit.  
6 And I think you deserve a round of applause. So give  
7 yourselves a round of applause.

8 (Applause.)

9 MR. RABA: If you are interested, the coffee  
10 shop downstairs, Dunkin Donuts and Subway or the  
11 cafeteria west end. Brenda has some evaluations to  
12 hand out on the table. They're in the back of the  
13 packets. Before you leave, please give us your  
14 evaluation comments of today's public meeting. And I  
15 presume each has given Brenda a business card for your  
16 attendance today to ensure that you are kept informed  
17 of future rulemakings. Please.

18 Thank you very much on behalf of the  
19 Department of Energy. Cyrus, conclude

20 Closing Remarks

21 MR. NASSERI: Okay. Thank you very much.  
22 Again, we are looking forward to seeing your written  
23 comments. And definitely the one that Jim was reading  
24 to you was not enough time for you, you know, to really  
25 give us any comments, we expect to see your written

1       comments with the errors that I identified specifically  
2       and all that and your comments. We really appreciate  
3       your participation and your efforts, you know, to help  
4       us come up with a good final rule on sustainability.  
5       Thanks a lot.

6                       (Whereupon, at 12:08 p.m., the meeting was  
7       concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**REPORTER'S CERTIFICATE**

This is to certify that the attached proceedings  
before:

**U.S. DEPARTMENT OF ENERGY**

In the Matter of:

**SUSTAINABLE DESIGN STANDARDS**

**FOR FEDERAL BUILDINGS**

Were held as herein appears and that this is the  
original transcript thereof for the file of the  
Department, Commission, Board, Administrative Law Judge  
or the Agency.

Further, I am neither counsel for or related to  
any party to the above proceedings.

*Wendy Greene*  
Official Reporter

Dated: August 18, 2010