

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33

UNITED STATES DEPARTMENT OF ENERGY  
NATIONAL ELECTRIC TRANSMISSION CONGESTION STUDY  
WORKSHOP

Philadelphia, Pennsylvania  
Tuesday, December 6, 2011

PARTICIPANTS:

**Welcome and Presentation:**

DAVID MEYER  
U.S. Department of Energy

**Panel 1 Regulators:**

GARRY BROWN  
New York Public Service Commission  
  
EDWARD S. FINLEY, JR.  
North Carolina Utilities Commission  
  
BETTY ANN KANE  
District of Columbia Public Service

1 Commission

2

3 DOUGLAS R.M. NAZARIAN

4 Maryland Public Service Commission

5

6 JAMES VOLZ

7 Vermont Public Service Board

8

9 **Panel 2 Industry:**

10

11 ROBERT BRADISH

12 Managing Director, Transmission

13 Planning and Business Development

14 American Electric Power

15

16 JOHN P. BUECHLER

17 Executive Regulatory Policy Advisor

18 New York Independent System Operator

19

20 JIM BUSBIN

21 Supervisor, Bulk Power Southern Company

22

23 MIKE HENDERSON

24 Director of Regional Planning &

25 Coordination, ISO New England

26

27 CHUCK LIEBOLD

28 Manager, Interregional Planning

29 PJM Interconnection

30

31

32 \* \* \* \* \*

33 P R O C E E D I N G S

34 (9:00 a.m.)

35 MR. MEYER: Well, good morning, ladies and

36 gentlemen. I'm David Meyer from the Department of

37 Energy. Welcome to this workshop, we appreciate your

1 participation and your input to our 2012 Congestion  
2 Study.

3 I'm going to make a few brief remarks here to  
4 establish a context and a perspective about the  
5 Congestion Study. But before I do that, let me  
6 introduce some of the people from our team who are here  
7 with me. I have Lot Cooke, who is with our general  
8 counsel; Suzie Lemieux, who is, why don't you identify  
9 yourselves a little bit, for those in the room.

10 (Laughter) Right. And Emily Fisher, who is with the  
11 Lawrence Berkley laboratory; Alison Silverstein, who  
12 many of you know; Joe Eto of LBL will be assisting us  
13 also; he's not here today. We also have help from ICF  
14 Incorporated, Elliott Roseman and his colleagues, Julia  
15 Kane, I don't see Julia, is she not in the room at  
16 present? And Sheri, tell me your last name.

17 MS. LAUSIN: Lausin.

18 MR. MEYER: Lausin. So, all of those people  
19 are playing important roles for us, and we appreciate  
20 their help.

21 So, let me move on. First, a little  
22 background. The Federal Power Act as amended requires  
23 DOE to conduct and issue a Congestion Study every three  
24 years. We conducted studies in 2006 and 2009, so now

1 we're doing the 2012 Study. We have a definition here  
2 of congestion, which is familiar to all of you. I  
3 won't go through that material.

4 We recognize that economic congestion can be  
5 mitigated in at least three ways, or through some  
6 combination of those ways. But we want to be clear  
7 that the Federal Power Act directs us to show where  
8 congestion is occurring but it does not direct or  
9 authorize us to prescribe solutions or to undertake  
10 mitigation.

11 So, in the 2006 and 2009 studies we relied on  
12 a three level conceptual framework, three different  
13 kinds of congestion areas, critical areas and areas of  
14 concern, and then conditional congestion areas. And we  
15 expect to use that framework going forward for the 2012  
16 study. If you have comments or suggestions on ways to  
17 sharpen the focus or improve those concepts, let us  
18 know.

19 The Power Act also authorizes but it does not  
20 require the secretary to designate geographic areas as  
21 national corridors, as we call them. There is an  
22 acronym which we try to avoid because a lot of people  
23 don't know how to pronounce it or don't know how to  
24 spell it. "National Corridor" is a much classier term,

1 I think.

2 A national corridor may be designated only  
3 after issuance of the Congestion Study and review and  
4 public comments on the study. But we want to emphasize  
5 that identification of a congestion area does not  
6 necessarily lead in any automatic way to designation of  
7 a national corridor.

8 Designation of a corridor has several effects.  
9 It emphasizes that the federal government believes that  
10 it is important to mitigate the congestion in question.  
11 It enables the Federal Energy Regulatory Commission to  
12 approve the siting of the transmission facilities  
13 within the corridor, under certain very limited  
14 conditions, conditions that are spelled out in the  
15 Federal Power Act.

16 And finally, if a proposed facility to be  
17 sited in a national corridor is also within the  
18 footprint of either of these two listed power marketing  
19 administrations, those entities may then exercise  
20 certain third-party financing authority that they have.

21 So, we are holding four workshops, two East  
22 and two West, to explain the study process and to  
23 obtain data and ideas, concepts from you, about  
24 appropriate data sources or studies that are now

1 underway that are relevant, or just general  
2 perspectives that you think are particularly  
3 applicable, particularly at the regional level or sub  
4 regional level.

5           We plan to examine a wide range of data. I'll  
6 be candid, we -- the availability of systematic data is  
7 limited. We have to use whatever material is at hand,  
8 and it varies from one region to another. So, we are  
9 always looking for additional data sources. And we've  
10 learned that it's important not to somehow regard any  
11 one source as authoritative. It's best if you can look  
12 at alternative sources and say, do they corroborate the  
13 particular story? Do they support the story so that  
14 you look at as much material as you can pull together?  
15 And then say to yourself, now does this seem to -- is  
16 there a storyline here? Is there a pattern that's  
17 important?

18           We will use only publicly available source  
19 material. And we will issue, unlike the two previous  
20 studies, this time around we will issue a draft report  
21 for public comment, and we will issue a final report  
22 after considering the comments. So, we welcome your  
23 comments and suggestions on this process.

24           So, today we are looking particularly for

1 information about congestion related conditions in the  
2 Northeast and Mid-Atlantic area, down through the  
3 Southeast. There will be two panels. First, we will  
4 hear from state officials, mostly regulators, and then  
5 we will hear from an industry panel. And after the  
6 panels, there will be an opportunity for others to  
7 comment and if you wish to do so, please let us know.  
8 And we look forward to a wide-ranging discussion. And  
9 I want to say that it is being recorded. There's a  
10 court reporter here. So it's important to speak into  
11 the microphone. When we get into discussion, please  
12 identify yourself so that that gets recorded.

13           And we're doing this so that we don't miss any  
14 of the points you make. Later on, we'll be sure we're  
15 not misinterpreting some of your comments. And in  
16 general, please show us the facts. It's important for  
17 us, to the extent possible, to get to the facts.

18           And with that, I'm going to turn things over  
19 to our first panel. Let me briefly introduce the  
20 regulators that we have with us. I'll just give names  
21 and affiliations.

22           We have Garry Brown, who is chairman of the  
23 New York Public Service Commission. We have Edward  
24 Finley, chairman of the North Carolina Commission. We

1 have Betty Ann Kane chairman from the District of  
2 Columbia Commission. We have Doug Nazarian, who is  
3 chairman of the Maryland Commission. And we have Jim  
4 Volz, who is chairman of the Vermont Public Service  
5 Board.

6 So, I thank you all and I look forward to your  
7 comments.

8 MR. BROWN: Good morning. I want to make sure  
9 this is working correctly.

10 Good morning, thank you. My name is Garry  
11 Brown, I am the chair of the New York Public Service  
12 Commission. I want to start out by thanking the  
13 Department of Energy, and particularly David Meyer, for  
14 providing us with this opportunity today. It's very  
15 important as we go through this process that the states  
16 and DOE continue a dialogue, so I'm happy to begin the  
17 dialogue here today.

18 The good news is that I'm first and I won't  
19 repeat what anybody else has said. (Laughter) The bad  
20 news is I don't get to react to what everybody else has  
21 said. So, if you see me trying to jump up later,  
22 that's what I'm trying to do.

23 Let me just talk a little bit about congestion  
24 and the study. EPO Act 2005 cast a wide net for the

1 Congestion Study to consider. It looked at reasonably  
2 priced electricity, looked at economic growth,  
3 diversification of supply, energy independence,  
4 national energy policy, and national defense and  
5 homeland security. It's quite a wide array of factors  
6 that it asks the Congestion Study to consider.

7           However, the study also said you can only  
8 designate -- what David was talking about, the  
9 designation process -- a national corridor if a  
10 geographic area is experiencing electric energy  
11 transmission capacity constraints, or congestion, that  
12 adversely affects consumers. So, the corridor is  
13 limited to where there's an adverse effect on  
14 consumers.

15           I believe that's an acknowledgment that there  
16 is such a thing as economic congestion, a situation  
17 where congestion exists but that the cost of  
18 remediating the congestion will cost the consumer more  
19 than paying the ongoing congestion costs. And I want  
20 to make it very clear from our viewpoint, the presence  
21 of congestion does not have to equal the absence of  
22 reliability. And in fact, New York City, you could  
23 argue, has the most stringent reliability standards in  
24 the country but yet we all know that there is some

1 congestion going in to New York City. So, congestion  
2 doesn't exactly equal reliability problems or that  
3 reliability criteria cannot be met. It might be an  
4 indicator of some things, but it's not necessarily an  
5 indicator of that.

6           So, the Congestion Study needs to focus not  
7 only where there is congestion, but where there'd be a  
8 net benefit to the consumer if that congestion were  
9 relieved. DOE does not have to create this on its own  
10 since the 2005 EPart order 890 in 2008 required all  
11 planning authorities to study potential economic  
12 upgrades to the electric system. You asked for data  
13 sources, we believe this may be a primary data source,  
14 those 890 studies. These studies can provide  
15 indicators where congestion exists on the system,  
16 whether the congestion is a fleeting problem or has  
17 persisted for years, whether the consumer would benefit  
18 from resolving the congestion, and whether transmission  
19 is the correct solution, or would a correctly sited  
20 generator or demand resource better resolve the issue?

21           I want to just spend a minute here. One of  
22 the concerns that I've seen with transmission being  
23 sited and sometimes rewarded at the federal level is  
24 the concept that transmission becomes first among

1 equals in terms of alternative paths. We all know that  
2 you could solve congestion in a variety of different  
3 ways: The siting of generation, the strategic use of  
4 demand resources, energy efficiency measures that  
5 reduce demand in certain areas. But if somehow  
6 transmission gets placed above those other  
7 alternatives, you may not be doing a fair analysis.  
8 And we just think it's very important that transmission  
9 with all its benefits does not jump above the other  
10 options that are available.

11 I say this all the time, but I think it's my  
12 duty as a public utility commissioner: People are  
13 having difficulty paying their electricity rates today.  
14 We have 1 million New Yorkers that are over 60 days in  
15 arrears with their electricity bills. Raising rates do  
16 all the good things we want to do; smart grid,  
17 transmission upgrades, distribution upgrades,  
18 infrastructure improvement is a very difficult process  
19 and we have to do it very judiciously and carefully.

20 So, we believe planning authorities have  
21 information and resources that were not available for  
22 the 2009 Congestion Study. We'd suggest DOE embrace  
23 the planning authorities, relying on their system  
24 knowledge and expertise in assisting DOE in performing

1 the 2012 Congestion Study in any corridor designations.

2           One of the other areas that I'd like to focus  
3 on is the need for consistent criteria. The 2012  
4 Congestion Study needs to speak with one voice. The  
5 2009 study seemed to take each area of the country  
6 separately with separate criteria for determining the  
7 seriousness and drawing conclusions that were not  
8 consistent. It was as if separate groups examined and  
9 wrote separate parts of the study. We think that DOE  
10 would be best to draft an independent set of criteria  
11 to be applied systematically across congested areas.

12           DOE's notice in the Federal Register  
13 identified many sources which it intends to gather  
14 data. It casts a large net for gathering information,  
15 which is good. DOE identifies drawing from the results  
16 of the Eastern Interconnect Planning Studies,  
17 undertaken with DOE support. And as a frequent and  
18 enthusiastic participant in the Eastern Interconnect  
19 Planning process, that has been a tremendous process.  
20 But in the end, I think the study is more of an  
21 analysis than a plan. The EIPC effort is the first of  
22 its kind, performs studies on a large scale, scenarios  
23 identified are constructs for demonstration purposes,  
24 not for planning purposes.

1           We've all learned how to coordinate planning  
2 on an Interconnect wide scale, what issues need to be  
3 resolved before doing it again, but many of the inputs  
4 were not symmetric. Again, we build up from the  
5 planning processes. A good example, as we noted during  
6 the process, was energy efficiency. How was energy  
7 efficiency included within an individual planning  
8 process' criteria? Some places it was, some places it  
9 wasn't. We lived with that, in order to do the first  
10 study. And I'm happy that we lived with that, because  
11 I think we reached a successful conclusion, not a  
12 conclusion, but at least a midpoint. But in order to  
13 really kind of apply criteria for congestion, I think  
14 there needs to be some sort of symmetric application of  
15 these sorts of resources.

16           Another place where I think the planning study  
17 provided information was it always reduced everything  
18 right to the reserve margin, so we lost 67 gigawatts of  
19 coal generation in the first 5 years of the study. I'm  
20 not sure anybody actually believes that that's how the  
21 world is going to go down over the first five years of  
22 the study.

23           So, if the results of the EIPC analysis are to  
24 be used, I think they have to be in the context of an

1 order of magnitude, certainly not identification of  
2 areas of congestion as needed.

3           And then, I would suggest consultation.  
4 States want to be DOE's partner in this. I think we  
5 know our systems better than most. We have guided the  
6 planning for the entire electric system. We have sited  
7 the interstate transmission system we have today. I  
8 will let my PJM friends talk about the TrAIL process,  
9 but there's certainly examples out there of multi-state  
10 lines that have successfully been sited.

11           But for a facility to be successfully sited,  
12 the documentation and justification need to be  
13 developed. Real state involvement in the DOE  
14 Congestion Study will start any resulting transmission  
15 project on the fast track for successful siting.  
16 Because in the end, it's going to have to go to the  
17 states for siting process. Obviously, today is a great  
18 start and we thank you for including the states, since  
19 we get the first opportunity.

20           States need to be embraced as partners. Just  
21 seeking our comments on draft reports, along with other  
22 stakeholders, may not be sufficient. Conversations  
23 between DOE study staff and state staffs need to take  
24 place as DOE is formulating its positions, and I offer

1 our staff up to DOE. At any time you'd like to take  
2 advantage of the expertise of our staff, they'd be  
3 available to you.

4 States want the resulting studies to be a tool  
5 that is useful to all involved in making carefully  
6 informed decisions to resolve congestion, and we  
7 believe that's what Congress intended. The study must  
8 be vetted and carefully worded to avoid errors or  
9 misunderstanding that could create obstacles to  
10 effective planning.

11 In the end, I think the best system is the  
12 state siting process. I understand that there may be  
13 some ability for some federal interaction in that, and  
14 we welcome that interaction. We welcome the  
15 opportunity for you folks to identify congestion. We  
16 just ask that you do it on a consistent basis using  
17 some of the studies that are already out there,  
18 establishing criteria that we all understand so that if  
19 a transmission line comes to us, on a state level we  
20 understand why recommendations have been made and where  
21 they've been made.

22 So with that I thank you again for the  
23 opportunity and I turn it back to you.

24 MR. FINLEY: Thanks. My name is Ed Finley of

1 the North Carolina Utilities Commission, and I'm going  
2 to talk mostly about the congestion in my state, South  
3 Carolina is very similar, and what we do about it and  
4 how we plan the systems in our state.

5           By way of background, except for a small  
6 section of the northeastern part of the state, our  
7 public utilities, primarily Progress Energy and Duke  
8 Energy, are vertically integrated systems. There is no  
9 retail competition in North Carolina. North Carolina  
10 Utilities Commission functions as a command and control  
11 utilities commission. We set the rates, we sort of  
12 certificate transmission lines. To the extent that we  
13 find there are areas of the state where a transmission  
14 line is needed we can order our utilities to build  
15 those transmission lines to make sure that the service  
16 is provided there.

17           We require through the IRP process that our  
18 utilities plan their systems on a least cost integrated  
19 basis, considering integration and transmission costs,  
20 as well as energy efficiency and demand side  
21 management. North Carolina is one of the few states in  
22 the Southeast that has a renewable portfolio standard,  
23 it's a 12 1/2 percent renewable standard to be met by  
24 2021.

1           Turning to the questions at hand that DOE has  
2 asked, that is, how DOE should proceed to complete the  
3 required transmission Congestion Study, I believe that  
4 DOE's study should focus on congestion that is actually  
5 occurring today rather than looking at congestion that  
6 might occur under different scenarios for the future,  
7 especially since the designation of congested area  
8 could be used to trigger FERC backstop citing  
9 authority.

10           The controlling statute, Section 824 P gives  
11 DOE, based on its study, the ability to designate any  
12 geographic area experiencing electric energy  
13 transmission constraints or congestion the ability to  
14 designate the area for national interest electric  
15 transmission corridor. So, the statute uses the word  
16 "experiencing" in the present tense. The statute looks  
17 -- does not ask that DOE anticipate congestion that  
18 might occur in the future. It would appear that  
19 Congress intended the designation of a national  
20 interest electric transmission corridor and related  
21 backstop authority be used only to address congestion  
22 that is actually occurring right now. DOE is required  
23 to perform this Congestion Study every three years, and  
24 can adequately address future congestion concerns on a

1 timely basis in future reports.

2           The notice of the workshop asks how DOE would  
3 best use the experience and insight offered by the  
4 Eastern Interconnection State's Planning Council that  
5 we refer to as EISPC. The people to my left and right  
6 and others here in the room are better acquainted with  
7 EISPC, but I have been a participant in it, and most  
8 recently on the stakeholder steering committee. I do  
9 not believe that EISPC has officially offered any  
10 expertise or insight to DOE Congestion Study effort, as  
11 this was not part of the charter or the requirements of  
12 the funding.

13           The EISPC effort and the DOE Congestion Study  
14 are, in my opinion, two practically unrelated  
15 activities. EISPC has been working to define three  
16 scenarios of what the electric grid might be and might  
17 be needed in the 20-year horizon. DOE's Congestion  
18 Study is to address transmission congestion that is  
19 occurring right now, in our opinion a very different  
20 task. In addition, the EISPC studies aren't complete  
21 yet and won't be for some time, although we have  
22 reached a midpoint as Garry has said.

23           Finally, the EISPC members have never  
24 discussed the possibility that the study results would

1 be used in the context of DOE's Congestion Study.  
2 Designation of a national interest electric  
3 transmission corridor triggers the potential for  
4 federal government rather than state and local  
5 governments to site transmission facilities. This  
6 potential use of EISPC studies has not been discussed  
7 by the EISPC members, and I believe this would be an  
8 extremely controversial topic if we were to take that  
9 up.

10           The DOE staff has attended and presented at  
11 many of the EISPC meetings. As far as I'm aware, they  
12 have never indicated that the Congestion Study was  
13 something we were supposed to be undertaking.

14           The workshop notice also asked each of the  
15 speakers to comment as to whether his or her area is  
16 experiencing congestion. And again, I'm going to talk  
17 primarily about my state. I don't know whether we're  
18 in the Mid-Atlantic or the South or the Southeast, but  
19 anyway I've told you a little bit about what kind of a  
20 state we have.

21           SPEAKER: God's country.

22           MR. FINLEY: God's country. (Laughter) We  
23 have no evidence to indicate that the transmission  
24 congestion is a problem in North Carolina, and I

1 believe there is substantial evidence to the contrary.  
2 Most of the transmission grid in our state is owned by  
3 Duke Energy Carolinas or Progress Energy Carolinas,  
4 with a small portion up in the Northeast owned by  
5 Dominion, and Dominion is the supplier in our state  
6 that is part of PJM. So, much as we like or dislike,  
7 we have to follow what goes on in PJM. And I will tell  
8 you, based on my observations there, whatever we can  
9 say is our way of doing things is much simpler than  
10 what happens in (inaudible). (Laughter) As you likely  
11 know, Duke Energy and Progress Energy have a proposed  
12 merger and their merger requests are pending in several  
13 jurisdictions. Under our jurisdiction and the Federal  
14 Energy Regulatory Commission, so there's limited things  
15 that I can say about that. I would note, however, that  
16 the cooperatives that rely on Duke and Progress for  
17 transmission services have been active participants in  
18 the various proceedings. In one of their submissions  
19 to FERC, the North Carolina Electric Membership  
20 Corporation, which represents most of the state's  
21 electric cooperatives, stated that unilaterally  
22 determined, that is FERC transmission upgrades, would  
23 be disruptive to the Duke process order 890  
24 transmission planning process, known in North Carolina

1 as the North Carolina Transmission Planning  
2 Collaborative.

3           This collaborative transmission planning  
4 effort has now finalized its fifth annual round of  
5 transmission planning. Last year's plan called for 14  
6 transmission projects, each costing more than \$10  
7 million for a total of \$473 million in planned  
8 transmission investment in North Carolina over 10  
9 years. This year's draft plan shows many of those  
10 projects are underway, with some completed and calls  
11 for \$296 million of investment by 2021. All  
12 indications are that North Carolina's transmission  
13 owners are moving ahead to plan and build the  
14 transmission that is need to serve both the retail and  
15 wholesale customers in North Carolina.

16           I would also note that North Carolina's  
17 Transmission Planning Collaborative expressly includes  
18 in its goals to "include analysis of increasing  
19 transmission access to supply resources inside and  
20 outside" of the Duke and Progress control areas. This  
21 year, the two companies studied 11 different  
22 hypothetical scenarios of importing large amounts of  
23 power, 600 and 1,200 megawatt increments, into North  
24 Carolina as well as scenarios of moving 1,200 megawatts

1 north to PJM.

2           The study found that five of the increased  
3 import scenarios would be accomplished without any  
4 additional transmission investment. The remaining 6  
5 import scenarios would require investments ranging from  
6 \$12 million to \$32 million, and the scenario for  
7 exporting another 1,200 megawatts north to PJM would  
8 not require any additional transmission investments.

9           Through the collaborative process, this  
10 information is available to utilities that must work to  
11 serve customers reliably and at reasonable prices. The  
12 collaborative process that we use is a vast improvement  
13 over what we had in the past. We have input from the  
14 wholesale customers, the munis and the co-ops. They  
15 find that transparency much to their liking, and it has  
16 resulted in a much more healthy relationship in  
17 planning transmission in our state that once existed.

18           If building transmission is part of a least  
19 cost supply plan, it is incumbent upon the utilities to  
20 include it in their integrated resource plans, which  
21 the utility commission reviews annually. And we take  
22 that process very seriously, and we look at both  
23 transmission and generation additions and needs.

24           The market power concerns of the type that are

1 being addressed in the Duke process merger proceeding  
2 for FERC potentially implicate the need for additional  
3 transmission facilities to upgrade the transmission  
4 interfaces between regions. However, such discussions  
5 about market power do not necessarily indicate that  
6 transmission congestion is currently a problem, in my  
7 opinion. The transmission needed to serve wholesale  
8 and retail customers in North Carolina is being  
9 adequately addressed through the transmission planning  
10 collaborative process.

11           Let's talk a little bit about renewables in  
12 our area. As you may be aware, North Carolina has  
13 extensive offshore wind potential. Some have said that  
14 our state has the largest offshore wind potential on  
15 the East Coast. For the last two years, the North  
16 Carolina's Transmission Planning Collaborative has  
17 studied various scenarios of offshore wind development  
18 and what kind of transmission investment would be  
19 required to move offshore wind power inland to serve  
20 our state's larger population centers; the Charlotte  
21 area, the High Point/Winston/Salem/Greensboro triad  
22 area, and Raleigh/Durham/Chapel Hill triangle region.

23           We now know that it would cost in the order of  
24 \$1.3 billion in transmission investments in North

1 Carolina to integrate 5,000 megawatts of offshore wind  
2 generation. I mention this to illustrate that Order  
3 890, that the 890 study processes required by FERC have  
4 been in place long enough now to have produced useful  
5 information and to have resulted in transmission  
6 projects that have been built, are under construction,  
7 or are being planned and budgeted. And in some cases,  
8 building transmission is quite expensive and not in the  
9 public interest.

10 I would encourage the DOE to seek out the  
11 transmission planning documents that have been produced  
12 by the various Order 890 study processes, as Garry  
13 mentioned. Some transmission projects that would  
14 alleviate congestion might be extremely expensive and  
15 the national interest might be better served with other  
16 solutions.

17 In closing, while there might be times when  
18 the national interest would be served by federal  
19 intervention to license and site transmission, I  
20 believe these instances are few and far between. This  
21 tool should be used sparingly and only as a last  
22 resort. Therefore, the DOE's Congestion Study should  
23 focus on areas that are actually experiencing  
24 congestion.

1           It's highly likely that state officials know  
2 where their states are experiencing such congestion and  
3 if they believe a corridor designation would bring  
4 about a reasonably priced and reliable power supply to  
5 their citizens and businesses. They could tell you.

6           We appreciate the opportunity to be here  
7 today, and I might mention that in the 2009 study the  
8 conclusion of the Southeast and North Carolina in  
9 particular was that there was no congestion and I think  
10 the same should be true in the 2012 study.

11           MR. MEYER: Thank you. Ms. Kane.

12           MS. KANE: Yeah, thank you. Thank you very  
13 much. I'm going to get up and show something on the  
14 screen in a little bit, but not my entire presentation.

15           I'm Betty Ann Kane. I'm chairman of the  
16 District of Columbia Public Service Commission. And  
17 again, I want to thank you along with my colleagues for  
18 the opportunity to participate in this workshop.

19           As we note, the Energy Policy Act, the first  
20 thing it asks is that DOE carry out this study in  
21 consultation with the states, and we appreciate that.  
22 The District of Columbia, although not a state, is  
23 treated for most federal purposes including that Act as  
24 it were a state. As you know, and I say that because

1 when I was reading through the 2006 report and there  
2 was a description or list of the members or the  
3 territory of PJM, it only mentioned the states. But we  
4 are very much a part of PJM also and obviously are an  
5 active member of NARUC, of the Mid-Atlantic Utility  
6 Commissioners, and of the organization of PJM states.

7           The issue of congestion in the transmission  
8 system is of particular concern, I might say, to the  
9 District of Columbia. We are located in the PEPCO  
10 zone, which remains along with the Delmarva Peninsula  
11 and Northern New Jersey, New York, among the most  
12 congested areas in the PJM market, and I would probably  
13 say in the entire country. So I think it's an  
14 indication of the variety of status in the various  
15 states. Where Chairman Finley has said he's not  
16 experiencing congestion, we are continuing to  
17 experience significant congestion.

18           In addition, in 2012 the District will become  
19 unique among the states in that it will be totally  
20 dependent -- expect for some miniscule amount of  
21 photovoltaic customer generation -- on electricity  
22 generated in other states. This is due to the long  
23 planned decommissioning of our two remaining generation  
24 plants, which were recently just used as peaker plants,

1 Buzzard's Point and Benning Road. They are being  
2 decommissioned on May 31 of 2012. And in addition, the  
3 owners of the Potomac River generating station, which  
4 is located in Alexandria, Virginia, just across the  
5 river from the District but exclusively serves the  
6 District, the owners of that plant have reached  
7 agreement with the city of Alexandria to close that  
8 plant in October of 2012.

9           The 2006 National Electric Transmission  
10 Congestion Study, in its review of the Eastern  
11 Interconnection Congestion Studies and Expansions Plans  
12 identified the need to install two new Palmer's Corner  
13 to Blue Plains, 230 KV circuits in anticipation of the  
14 loss of the Potomac River generating capacity, and  
15 these lines were completed in June of 2007. The D.C.  
16 Commission also ordered the construction in 2009 of two  
17 230 KV lines from Benning Road to Ritchie in Maryland.  
18 That is underway, and scheduled to be completed by June  
19 1, 2012. So, we don't anticipate reliability problems  
20 with the loss of our peaker plants and the Alexandria  
21 plant. But nevertheless I think to echo the point that  
22 Chairman Brown made, you could solve, a reliability  
23 problem may not exist, but a congestion problem still  
24 does.

1           We think also congestion is a direct measure  
2 of the extent to which there are differences in the  
3 cost of generation that cannot be equalized because of  
4 transmission constraints. The price signaling energy  
5 market, which we used to call the locational marginal  
6 price that is at least within the PJM region, which  
7 equals to energy price plus congestion plus losses.  
8 And so, congestion can also be seen as a generation  
9 component and not a transmission component. And the  
10 congestion payment may be equal to or sometimes even  
11 greater than the congestion component, the transmission  
12 component, excuse me, depending on many factors.

13           Now, I have a chart, I'm going to get up and  
14 show you that, which shows the RPM price or the LMP  
15 price for the PEPCO zone varies from year to year. And  
16 we looked at the 2010 the staff did 2011, 2014 auction  
17 results. It showed an 85 percent increase in 2010  
18 auction from 133 to \$247. In the 2011 auction, the  
19 price came down but only back to the 2009 level of  
20 \$136.50, and that may be as a result of the TrAIL  
21 price. Let me see if I can bring that up on the  
22 screen. It will be easier to talk about.

23           This was looking at the congestion prices for  
24 PEPCO zone, megawatts per day. 2010, 2011, \$174, down,

1 back up; a lot of variety, variance. Then 2013-14  
2 auction, which was conducted several years before that,  
3 of course. And then, the auction, the 2010 auction it  
4 was \$247.14. Went back down in 2011 auction for the  
5 2014/2015 time period, but only back down to where it  
6 was in 2012. That was the TrAIL line that came on, the  
7 TrAIL line, West Virginia, Virginia, Maryland area.  
8 Didn't make a difference, so transmission does make a  
9 difference but it has not in any way solved the entire  
10 problem of congestion, which shows up in energy costs.  
11 (inaudible) put the entire text up there for you to  
12 read..

13 But the other point I wanted to make was that,  
14 well, as I said, we'd like to suggest that Department  
15 includes some trend analysis in the 2012 Congestion  
16 Study. Of necessity, previous studies were a snapshot  
17 type of analysis but now there have been five years of  
18 studies, five years since the first study. So, trend  
19 analysis can be possible, feasible, and it could tell  
20 us more to the extent whether congestion is persistent  
21 and the correlation, for example, of congestion versus  
22 load and the economy. Because there's clearly a direct  
23 relationship between economy and the load.

24 For example, our staff used the historical

1 state-of-the-market reports for PJM and looked into a  
2 trend analysis over 2005 to 2010 for the PEPCO zone and  
3 for PJM. Overall, they found that the PEPCO congestion  
4 traced the total congestion in PJM quite well and it  
5 showed a strong correlation between congestion and the  
6 economy. We don't have data for 2011 yet available,  
7 but the trend appears to be continuing.

8           Based on the 2010 data for D.C., total  
9 congestion costs accounted for 2.4 percent of the  
10 residential customers' bill, and that is in the  
11 generation portion of the bill. Total transmission is  
12 only about 3.2 percent, for example, for an average  
13 residential customer's bill. And so, compared to total  
14 transmission costs 2.4 percent on the generation side  
15 is not something to ignore.

16           It may be that this impact or the bottom line,  
17 the customer's bill, may not be within the total scope  
18 of the Congestion Study, but we do think that for state  
19 public utility commissions this would be a very  
20 interesting trend analysis. And we note, also, for PJM  
21 as a whole the total congestion costs for 2006 was \$1.6  
22 billion, for 2010 it became only, it only went down a  
23 little bit to \$1.4 billion. And so, significant  
24 congestion again looking at the congestion costs are

1 still there.

2 PJM has not yet conducted specific studies to  
3 isolate how the recession as opposed to the other  
4 factors affected transmission congestion, but they have  
5 indicated that their analysis of peak loads, the peak  
6 load reduction from 2008 to 2009 was primarily result  
7 of the recession. And for the future, that continued  
8 load growth is expected to be there for the next 10  
9 years, and so the growth in load will contribute  
10 positively to congestion costs.

11 I'd also like to suggest the 2012 study look  
12 more broadly at alternatives to transmission for  
13 addressing congestion problems: demand response,  
14 energy efficiency, distributed generation. Energy  
15 storage we believe can increasingly contribute to  
16 mitigation of congestion. The 2009 study did include a  
17 small section on demand side reduction, and in  
18 particular it cited the Mid-Atlantic states "ambitious  
19 energy efficiency programs, including the District's  
20 enactment of the Clean and Affordable Energy Act of  
21 2008." And it also discussed some Mid-Atlantic states  
22 aggressive goals for distributed generation and  
23 photovoltaics, highlighting New Jersey.

24 We believe much has progressed since 2009.

1 The District, for example, has increased its renewable  
2 requirements by 20 percent for 2020, and it has also  
3 greatly increased its solar requirement. Pursuant to  
4 amendments that just went into effect on August 1 of  
5 this year solar, which is photovoltaic and thermal  
6 under D.C. law, must account for 2.5 percent of the  
7 retail sale of electricity in the District by 2023.  
8 And this is a percentage similar to that of the state  
9 of New Jersey. This is a six fold increase from the  
10 prior requirement of .4 percent, or 4/10 of a percent,  
11 by 2020. And in addition, except for about 21  
12 megawatts of grandfathered facilities, all of this new  
13 capacity must be generated by certified facilities of  
14 under 5 megawatts each that are physically located in  
15 the District or on a distribution feeder, or serving  
16 the District.

17           If this capacity actually materializes as  
18 opposed to the retailers electing to pay the  
19 alternative compliance fee, the shift to local  
20 distributed generation for 2 1/2 percent of the load  
21 can have an impact on the need for interstate  
22 transmission. In the District, we also have a  
23 voluntary demand response program, which help to reduce  
24 demand by roughly 60 to 65 megawatts during the recent

1 summer emergency hours. And, the D.C. Commission has  
2 just adopted a new residential load control program, or  
3 cycling program, that will go into effect this summer,  
4 lowering system overall energy use in the district by 1  
5 percent a year, beginning in 2012. All of these  
6 initiatives have an impact in reducing transmission  
7 constraints and congestion.

8           Other developments that should be watched in  
9 looking for alternatives include the work of the  
10 Eastern Interconnection States Planning Council. And  
11 while as has been said before the purpose of EISPC is  
12 not to come up with plans, but it is to come up with a  
13 lot of data that we think could be useful. And in  
14 particular, the Energy Zones working group. This would  
15 be carried out by a grant from DOE, and with  
16 significant assistance from the Department's own  
17 national laboratories. And I want to say, I thank the  
18 Department every chance I get for all the work of the  
19 laboratories, with EISPC and particularly with the  
20 Energy Zones work group.

21           The Energy Zones working group was the one  
22 deliverable that DOE has required in making the EISPC  
23 grant, and most of its work is scheduled for completion  
24 in 2012. I have an update on that project, a Power

1 Point presentation which I can show later, but it looks  
2 at all kinds of energy zones. Some of those which were  
3 called conditional areas in the 2009 study I think  
4 would be particularly good to look at the updated  
5 information on.

6 We also want to suggest that the Department  
7 follow the Renewable Integration Study being undertaken  
8 by PJM, which includes 3 transmission scenarios of 4  
9 gigawatts, 10 gigawatts, and 20 gigawatts of offshore  
10 Mid-Atlantic wind. And I want to finally bring to your  
11 attention that stakeholders in the states in the PJM  
12 region are considering the state agreement approach for  
13 adding transmission lines to the PJM Regional  
14 Transportation Expansion Plan, or the RTEP.

15 Under this approach, states would voluntarily  
16 cooperate to suggest new transmission lines to the  
17 RTEP, which might be needed for public policy purposes,  
18 and this is pursuant to the new FERC Rule 1000, or  
19 Order 1000, such as meeting RPS, including agreeing on  
20 cost allocation and adding them to the RTEP plan. The  
21 debate is still on the details of this, but we believe  
22 that such developments can also further affect future  
23 solutions to congestion problems.

24 Thank you, I'd be happy to answer any

1 questions.

2 MR. NAZARIAN: All right. Thank you, David,  
3 and thanks to everyone from the Department and everyone  
4 who's involved in putting on this meeting. We're  
5 grateful for the opportunity to come and speak with you  
6 and share some perspectives from our state.

7 Some of the other folks here are neighbors of  
8 ours, and we have some things in common although I  
9 suppose in some ways we're largely the mirror image,  
10 the opposite of North Carolina. We are fully  
11 restructured, we are entirely in PJM. So, if they're  
12 God's country I'll let you fill in what we might be.  
13 (Laughter)

14 The lesson --

15 MR. FINLEY: I don't think, the exact opposite  
16 of God's country. (Laughter)

17 MR. NAZARIAN: I spoke at one of these  
18 sessions, workshops for the 2009 study in Chicago on  
19 September 17, 2008. I remember that day exactly  
20 because that's the day that the financial markets  
21 melted down and the phone call I had waiting for me  
22 when I left was the message telling me that our friends  
23 at Constellation Energy were in freefall because of the  
24 liquidity challenges that downgrades and changes in the

1 financial markets put them.

2 I tell you that story not to reminisce, but  
3 because it demonstrates why this process is probably a  
4 total embodiment of what we've come in the EISPC world  
5 to know as the Garry Brown Principle. Which is, we  
6 know no matter what we do we're going to be wrong, but  
7 at least we should try to understand directionally  
8 where things are headed and get our arms and brains  
9 around the moving parts.

10 When I spoke in 2009, we were very concerned  
11 in Maryland about transmission congestion. And we were  
12 concerned about it from a reliability standpoint. We  
13 had had PJM into our hearing room earlier that year and  
14 they testified that if nothing else changed, that we  
15 were looking at the possibility of rolling blackouts  
16 and brownouts in Maryland on hot summer days starting  
17 in 2011.

18 Now, there were some things that were planned  
19 for the intervening couple of years at that point, but  
20 remember before the fall of 2008 we were looking at  
21 increasing demand forecasts throughout PJM. We were,  
22 the TrAIL line, which is an important transmission  
23 project that goes from Virginia through West Virginia  
24 and into Pennsylvania had not, at that point, been

1 approved by any of the three states that needed to  
2 approve it. And yet, it was in not only PJM's Regional  
3 Transmission Expansion Plan, the RTEP, but it also had  
4 been modeled in the reliability pricing model. So, the  
5 market-driven resource acquisition process and the  
6 capacity market in PJM assumed that line was going to  
7 show up, and yet as we sat there in the fall of 2008 it  
8 was not approved anywhere. So, that was another source  
9 of concern for us.

10           And in a restructured state, unlike the  
11 command and control model, old school model that is the  
12 way things work in the vertically-integrated world, we  
13 don't do integrated resource planning in Maryland.  
14 We're supposed to rely on the markets to deliver the  
15 resources we need when we need them. So at the time,  
16 my testimony as I recall it, I didn't go back to the  
17 transcript, but I hope it will back me up on this, was  
18 that we had real concerns about transmission congestion  
19 in Maryland from a pure lights-staying-on reliability  
20 perspective.

21           And I know my friends in Washington, D.C., had  
22 the same concern, because although they are very much a  
23 district and I would be perfectly okay with them being  
24 a state, electrically they are deeply connected with

1 us. The PEPCO zone that Chairman Kane talked about  
2 also covers a portion of our state and is part of the  
3 congested area that basically starts in Frederick,  
4 Maryland, and covers the whole rest of our state to the  
5 east, which is where the overwhelming majority of our  
6 people live.

7           So, what's happened since then? Well, as I  
8 sit here now knowing that probably everything I say is  
9 going to be wrong anyway, there are a few critically  
10 important changes that bear on the question of  
11 congestion. First of all, because of the concerns we  
12 had back in 2008, we at our commission opened a  
13 proceeding for the purpose of analyzing our options to  
14 fill that reliability gap, as we came to know it. And  
15 we got some testimony later on that about 400 megawatts  
16 of demand response would get us a cushion that would  
17 take care, we hoped, of any acute reliability concerns  
18 in the coming years. And so we ordered our investor-  
19 owned utilities to acquire 400 megawatts of demand  
20 response for exactly that purpose.

21           The second thing is, since the fall of 2008  
22 we've implemented aggressive energy efficiency and  
23 demand response programs that are required by state  
24 law, what's called the Empower Maryland Act. And most

1 notably we've put on about a gigawatt of demand  
2 response in Central Maryland. About 600 megawatts was  
3 called on July 22 of this year, when it was 108 degrees  
4 in the 5th or 6th day in a row of it being over 100.  
5 And that caused some people's houses to get warm for an  
6 afternoon, but it kept the lights on and has worked  
7 quite nicely. And that is, for all of my ranting about  
8 the reliability pricing model and operation and  
9 capacity markets of PJM, that is one area where the  
10 short-term price signal does work pretty well.

11           The third change since 2008 was that the TrAIL  
12 line was, in fact, approved in all three states and was  
13 constructed and did show up, I think even a couple  
14 weeks early. And although it doesn't solve our  
15 congestion problems in ways I'll describe, it takes  
16 some of that edge off.

17           But far and away the biggest thing that  
18 happened since the fall of 2008 was that we went into  
19 recession. And so all of the demand forecasts we were  
20 looking at in 2007 and 2008 that were looking for low  
21 growth to continue to grow at 1.7, 1.8 percent per year  
22 have all, they might as well be blown up. The trend  
23 line is flatter and it moved significantly downward.

24           So as I sit here today, we're still

1 transmission constrained in Maryland but we are less  
2 acutely concerned about the lights on and off  
3 reliability implications of those transmission  
4 constraints because of the evolution of the demand and  
5 because we have taken measures that in our own, in the  
6 worlds we do still control as a state utility  
7 commission do take, I think, a considerable amount of  
8 that edge off.

9           Now, that doesn't mean that we're unconcerned  
10 about transmission congestion, and the adverse effect  
11 language that David cited earlier is still very real.  
12 We may not be up against the limits of the transmission  
13 system in terms of the ability to keep the lights on,  
14 but we are very much up against the limit in terms of  
15 the way the capacity market works in PJM and the  
16 pricing implications that flow from that.

17           You can see it in stark relief in our state  
18 because, again, there's a sweet spot, it's right around  
19 Frederick. Where, you know, the electrical equivalent  
20 of I-95 goes from four lanes to one kind of all at  
21 once. We still import about 30 percent of our  
22 electricity in Maryland, and we get it from surrounding  
23 states. But there is a limit to what can come in from  
24 the other, from our neighbors and that limit does

1 matter in the way that the reliability pricing model  
2 models the accessibility of plants in Western PJM with  
3 the load East of Frederick. And we know it because,  
4 and Chair Kane's RPM graph showed it directly, that the  
5 parts of Maryland east of Frederick, so Southwest MAC  
6 and Eastern MAC DPL South portions of Maryland separate  
7 from the rest of the RTO nearly every year.

8           What that means in real life is that the  
9 average Marylander, average 1,000 kilowatt-a-month  
10 customer east of Frederick pays \$20 a month more than  
11 the person who lives in Western Maryland. And really,  
12 I mean, you can pick little bits of that out for one  
13 reason or another, but at the end of the day that's  
14 about congestion. That's transmission congestion  
15 affecting the real lives of real people.

16           In a world where we are entirely in an RTO,  
17 where we don't do integrated resource planning, where  
18 unlike our friends in integrated states we don't have  
19 the ability to order transmission solutions, we're  
20 dependent on the RTO planning process, the 890 process,  
21 to look at that. But what's, and to consider and  
22 deliver transmission solutions.

23           But when you think about the three-legged  
24 stool, right? Transmission, demand side, and

1 generation. The responsibility of each of those legs  
2 falls in different places. The RTO is responsible  
3 under order 890 for transmission planning. That's done  
4 purely on reliability.

5 Now, Order 1000 is going to change that. How,  
6 exactly, I'm not sure. There's been some interesting  
7 back and forth within PJM world about what the  
8 consideration of public policy means and whether the  
9 state, for example, the state agreement approach that  
10 Chair Kane talked about, allowing states to agree to  
11 site and pay for lines for non-reliability purposes by  
12 itself satisfies Order 1000. That's an interesting  
13 question that's going to be played out at PJM over the  
14 coming months.

15 Generation is supposed to be solved by the  
16 market, right? Nobody in the restructured portions of  
17 PJM is supposed to be doing integrated resource  
18 planning for generation. Now, we have some state law  
19 authority that allows us to order it, our friends in  
20 New Jersey do as well. We don't have to go into the  
21 whole storm that that all has created in the world of  
22 people who look at those markets. So I guess that's an  
23 option, but structurally that's supposed to be handled  
24 by the market.

1           So, that leaves the demand side to us, and we  
2 do have aggressive energy efficiency and demand  
3 response pools in Maryland. And we have pulled those  
4 levers again over the last couple of years in a way  
5 that's designed to manage the congestion problem we saw  
6 a couple of years ago.

7           So, right now we're comfortable that we're  
8 going to keep the lights on. We're concerned about the  
9 impact of congestion on rates. And I guess the last  
10 thing I will say about this is, when the economy comes  
11 back, and I say when, not if. It always does. But  
12 when it comes back, I think our margin of error could  
13 be thinner than we think. That if demand starts to get  
14 quickly back to 2007, 2008 levels we could find  
15 ourselves having to react very quickly to the  
16 congestion manifesting itself once again in an actual  
17 reliability situation. And the planning mechanisms  
18 that I've just described to you are not going to be  
19 able to manage that quickly.

20           Now, since we know that and we deal with that,  
21 it's my expectation that we will, again, be able to  
22 have enough in the demand side resources to keep the  
23 lights on, and nobody at PJM is going to let the lights  
24 go out. It's the quickest way to keep a utility

1 commissioner up at night is to worry about that. But  
2 there are going to be limits to how much demand-side  
3 resources and distributed generation and photovoltaic  
4 installations on roofs and things are going to be able  
5 to take that edge off.

6           So, that's probably a very muddled picture  
7 which, again, we know is going to be wrong. But I want  
8 to acknowledge that the acute concerns about  
9 congestion, at least bearing on reliability are  
10 diminished from where I was when I sat here three years  
11 ago. But they're not gone, and the structural concerns  
12 are still very much there.

13           I won't repeat the points my colleagues have  
14 made about the importance of including states in the  
15 planning and congestion processes, I think, without  
16 getting into the policy debate about whether it backs  
17 up authority at the federal level is a good thing or  
18 not. I think we all understand and appreciate the  
19 complexity and importance of analyzing all the  
20 different issues that come from transmission solutions.  
21 I think we're all committed to analyzing them fully and  
22 fairly and efficiently in our states. I think we're  
23 open to the possibility of coordination where that's  
24 appropriate, both among states and with the federal

1 government. How that would work exactly I'm not sure,  
2 but we're all open-minded. But in our federalist  
3 system, we do, I guess, have some, we are still  
4 watching for where the federal government might come in  
5 and take over, and of course we're concerned about  
6 that.

7           Finally, my colleagues have all said most of  
8 what I would say about the Eastern Interconnection  
9 Planning Process. It's been a wonderful thing, a  
10 wonderful opportunity, and we're grateful for the  
11 Department of Energy for making it possible for us to  
12 do what's really the first Eastern interconnection wide  
13 transmission planning and analysis.

14           I wonder how useful it is to this particular  
15 process, anyway, because what we've done so far in  
16 analyzing the macroeconomic and resource mix of a  
17 variety of futures, for example, and then doing  
18 production cost modeling and full build-outs of a few  
19 of those, isn't going to identify anything about  
20 transmission congestion now or in the few years to  
21 come. What it will show you is how the world changes  
22 in terms of certain resources mixes if certain policies  
23 are enacted on certain scales. And we have national  
24 and regional implementations of things like carbon and

1 renewable policies and others, and I'll happily spend  
2 as long as anybody wants to talk about any of these  
3 futures and the sensitivities underneath them.

4           But I don't think it's going to tell you  
5 anything about the congestion you have now or in the  
6 coming years. So although I think it may be helpful  
7 directionally to understand where the world could go if  
8 it goes in certain ways, I don't know how helpful it  
9 would be to the process you've undertaken and invited  
10 us to participate in here.

11           The other thing I will say in that regard is,  
12 there is, I think, some understandable "agita" from the  
13 state participants. It's not just utility regulators,  
14 but energy offices and governor's offices about how the  
15 EIPC study process could be used in a process of  
16 designating national electric corridors.

17           One of the things that has really kept this  
18 group together is the opportunity to, I think of it  
19 kind of in terms of academic freedom. To explore  
20 ideas, to push boundaries, and to recognize that across  
21 the 39 states, D.C., and New Orleans within the Eastern  
22 Interconnection, that there are things that matter to  
23 different regions and different states, all of which we  
24 want to study and at least understand the implications

1 of. So, there's been give and take throughout the  
2 discussion.

3           And so, I think everybody would be very clear  
4 and our cooperative agreement with the Department makes  
5 very clear that no particular state is bound by  
6 anything in here. That we retain and need to retain  
7 our independence as regulators when and if any of these  
8 things materialize into projects someday.

9           So, I guess I would caution any specific  
10 reliance in any case, and I know when Lauren Azar was  
11 at the NARUC meetings in St. Louis, she told all of us  
12 that the department didn't have any intention of using  
13 the study, in so many words. I don't begrudge the  
14 department the opportunity to at least see maybe some  
15 directional things or some trends that might come, but  
16 it's all future looking in ways that I don't think is  
17 going to be terribly helpful to congestion analysis  
18 you're doing here.

19           And with that, I will stop talking and be glad  
20 to answer any questions after we're done. Thank you.

21           MR. VOLZ: Thank you. My name is Jim Volz.  
22 I'm the chair of the Vermont Public Service Board. I'm  
23 also on the executive committee of EISPC, which puts me  
24 on the Stakeholder Steering Committee of EIPC. And I'm

1 also on the board of directors of the Regional  
2 Greenhouse Gas Initiative.

3           First I'd like to thank the DOE for inviting  
4 us to come to this. I think this is a great  
5 opportunity and I appreciate their doing that. And I'd  
6 like to also not repeat what a lot of my colleagues  
7 have said. In particular, I thought Garry Brown's  
8 comments were on point from my particular perspective  
9 from the Northeast.

10           As to the question about congestion itself,  
11 the Northeast doesn't, I mean, New England doesn't have  
12 congestion right now and there are a couple reasons for  
13 that. One is, we've built a lot of transmission  
14 recently, \$4 billion or so. And Mike Henderson, who is  
15 here from ICEO New England, probably has more specific  
16 information about that than I do off the top of my  
17 head.

18           We also have a lot of transmission in the  
19 works for the future, and so I think we've got, we have  
20 the situation well in hand. And I think the reason  
21 that's the case is that we have a really robust  
22 planning environment in New England. We have a good  
23 working relationship with ISO New England that involves  
24 all the stakeholders. We have the New England State

1 Committee on Energy, which is an organization of the  
2 states, the regulatory bodies of the states as well as  
3 the governor's offices of the states that is funded by  
4 the transmission owners, essentially, and the other  
5 participants in the ICEO process. And so, that  
6 provides us with a resource that makes it very helpful  
7 and easy for us to participate in the planning  
8 environment. And I think that's why we've been so  
9 successful in being able to site transmission and fund  
10 it and get it built.

11 In Vermont we built a transmission line  
12 recently in the northwest part of the state, and when  
13 we did that one of the questions the board asked was,  
14 you know, why are we building this? Was there some way  
15 to avoid it? And the answer was, yes we could have  
16 avoided it had we done even better planning. And so,  
17 Vermont has put in place a system for trying to  
18 identify well in advance constrained areas that might  
19 be addressable through non-transmission alternatives.  
20 And so, we've been really focusing on that in Vermont.  
21 We have an energy efficiency utility in Vermont that  
22 provides efficiency throughout the state. Our  
23 utilities don't directly do that, this utility does it.  
24 We have a wires charge that funds it.

1           And part of the task of that utility is to go,  
2 and the state as a whole process with all the  
3 stakeholders of identifying what the resource potential  
4 is for efficiency, and then funding that utility to  
5 obtain that resource. And, in particular, to try to  
6 target constrained areas to alleviate them so that you  
7 don't need to build transmission if you can avoid it.  
8 We have been advocating for that type of an approach at  
9 the regional level for many years. And just recently  
10 in Order 1000, FERC has now announced that they want  
11 the RTOs to, in fact, analyze non-transmission  
12 alternatives on the same basis as they do transmission.  
13 And to its credit, ICEO New England has come out with  
14 what they call their strategic planning process, and I  
15 think that's been very encouraging.

16           They identified that one of the problems with  
17 bringing forward non-transmission alternatives is the  
18 planning horizon and the process that you have to go  
19 through and the fact that the planning process we're  
20 using now doesn't identify non-transmission  
21 alternatives early enough in the process. And so the  
22 whitepaper that they put out lays out a planning  
23 process that tries to make those two things dovetail.  
24 So that early on, non-transmission alternatives are

1 identified, and then they're studied along with the  
2 transmission alternatives, and then the markets, the  
3 forward capacity market and the forward reserve market,  
4 are given an opportunity to try to provide that  
5 resource. And those markets, in particular the forward  
6 capacity market, allow for not only for generation to  
7 bid, but they also allow for demand resources to bid as  
8 well, including efficiency.

9           So, it really I think is a good model for how  
10 to most cost effectively plan your transmission system  
11 so that it meets the needs of its customers at the  
12 lowest cost. And I think that is one of the biggest  
13 concerns that we do have while we were cooperating and  
14 working together to make sure we didn't have congestion  
15 and to build transmission that was also very expensive.  
16 And there is a great concern among the regulators and,  
17 of course, the politicians in the states about that  
18 cost, and we'd like to make sure that whatever we do is  
19 as cost-effective as possible.

20           So, in Vermont in particular our policy is to  
21 go after all cost-effective efficiency and demand  
22 resources, whether they address a constraint or not.  
23 If they're cost-effective, why not do them? Why wait?  
24 And so we tried to invest in that as our first choice

1 compared to any other resource alternatives.

2           One example of a structural problem I think  
3 that we have in New England and perhaps in other RTOs  
4 as well is the fact you can socialize reliability  
5 projects. So, Vermont for example, our load is about 4  
6 percent of the New England load. So if we have a  
7 reliability project that gets built, we have to pay 4  
8 percent of that project no matter where it's located in  
9 New England. Recently, a constraint was identified in  
10 Northwestern Vermont that the transmission solution is  
11 estimated to cost around \$220 million, but if you put a  
12 generator there you could solve the problem for \$50  
13 million. If Vermont chooses the transmission  
14 alternative and builds that, we pay 4 percent of it.  
15 If we choose the generation alternative, we pay 100  
16 percent of it. And so, it's very difficult for us  
17 because the generation alternative or non-transmission  
18 alternative can't be socialized the way a transmission  
19 alternative can be. And I think that sends a kind of  
20 perverse signal to the individual states who have to  
21 make these decisions about which resources to select.

22           ISO-NE's whitepaper that came out on analyzing  
23 non-transmission alternatives does go a ways towards  
24 helping deal with that problem. We're hoping that as

1 dramatically cost-effective, non-transmission  
2 alternatives appear through the planning process, there  
3 may be an ability for the parties, in particular, the  
4 states and the load serving entities, to get together  
5 and reach settlements to pay for non-transmission  
6 alternatives that can't be socialized that could be  
7 implemented instead of transmissions. So I'm hopeful  
8 that that might be a fruitful path for us, but we're  
9 just starting to go down that path at the moment.

10 I believe that's all I have for right now,  
11 thank you.

12 MR. MEYER: Well, thank you all. You've given  
13 us some very thoughtful material to work from and some  
14 leads that we certainly need to follow up.

15 In particular, I was struck at references by  
16 Commissioner Nazarian and Commissioner Volz to specific  
17 geographic areas. And the reason we've found both on  
18 our side and readers of the earlier congestion studies  
19 were frustrated by the lack of granularity in our  
20 results. I mean, to some extent they were saying, and  
21 understandably, that to the extent we can get down to a  
22 more granular level, the value of the study increases.  
23 And so, those particular bits of information about,  
24 hey, there's a problem roughly here. That helps us a

1 lot.

2           But our earlier problem was that just sheer  
3 lack of data, relevant, reliable data, is a serious  
4 problem here. So but, with your help, and I want to  
5 extend, sort of broaden that to the extent that any of  
6 you have, and this pertains to the industry people who  
7 will speak later also. We are interested in  
8 granularity, that is kind of a special focus for us  
9 going forward.

10           Now, I want to go back to Commissioner Brown's  
11 earlier, or his initial remark about the possible  
12 desire for a response or to the extent that any of you  
13 want to comment on the presentations by the others.  
14 Discussion here is certainly one of our objectives.

15           MR. BROWN: Yeah, I wanted to start out, I was  
16 struck by listening to Chairwoman Kane's presentation  
17 and doing a little compare and contrast. I want to  
18 compare Washington, D.C., with Long Island, New York.  
19 Both have some limited transmission availability. Long  
20 Island is often fully loaded in terms of the  
21 transmission lines, but there is a requirement by  
22 Reliability Council that Long Island has to have, I  
23 think it's around, and John Buechler can correct me if  
24 I'm wrong, but it used to be around 98 percent of their

1 -- they had to have generation resources on-island to  
2 meet 98 percent of their load as a reliability rule.  
3 So, while transmission congestion may have cost them  
4 money, there is very little risk of outages, you know,  
5 reliability problems, because that had been taken care  
6 of through other measures by making sure of the  
7 generation.

8           When I listen to D.C. and I hear they're  
9 heading towards zero percent in city resources if the  
10 lines get fully loaded and they don't have enough,  
11 they're facing a real reliability problem. Both of  
12 them are congestion, but they're congestion with very  
13 different outcomes through the congestion. And Long  
14 Island, New York, if gas prices are \$12, the value of  
15 that congestion is going to be incredible because there  
16 will be cheaper resources trying to get in there. At  
17 \$3.80, that congestion may not show as much cost to the  
18 ratepayers of Long Island, whereas again there are no  
19 options in D.C. for in city generation. They are going  
20 to have to take what they can get from outside the  
21 resources and you mentioned, I think, 30 percent  
22 imports as well.

23           So, congestion is not congestion, is not  
24 congestion, is not congestion, I guess is my point.

1 And you can see lines fully loaded, but it can mean  
2 very, very different things in different areas.

3 MR. NAZARIAN: Yeah, David, getting back to  
4 your granularity point. What Garry is describing is  
5 going to manifest itself from a data perspective in a  
6 lot of different ways. I mean, I don't know what was  
7 available to the Department in total the last time  
8 around, but a difference between then and now is you'll  
9 be able to see in PJM the history of the RPM clearing  
10 prices that only started in 2007 all the way, now,  
11 through the present. And that's a specific  
12 manifestation of congestion because you'll see based on  
13 transfer limits where certain regions separate and  
14 where the price changes from the rest of the RTO around  
15 it.

16 And trust me when I tell you can draw a map  
17 and see, there are probably a million other engineering  
18 ways that Chuck and Mike Kormos and the team at PJM can  
19 tell you where the congestion is. And one of the  
20 things we've talked with them about over the years is  
21 ways to try and identify whether there are discrete  
22 transmission upgrades or even substation or static VAR  
23 compensator or other, phase angle regulator or  
24 whatever, now flux capacitors for all I know, but

1 gadgets you can put in the system to manage, you know,  
2 a localized transmission problem as opposed to building  
3 a line or building a power plant or something like  
4 that. But I'm sure there's a tremendous -- the RPM  
5 clearing price data is readily available. There  
6 probably are other data sets that PJM or other RTOS  
7 could give you to help identify that.

8           And one other thing I forgot to mention, it's  
9 almost on topic, is the power plant research program in  
10 Maryland, which is an agency under the Department of  
11 Natural Resources prepared what's called the Long-term  
12 Electricity Report for Maryland. It was issued last  
13 week, and I've got a copy here for you. It runs a  
14 whole lot of different scenarios of different resource  
15 and transmission mixes, includes the PATH and the MAP  
16 lines, among other things. It's not the be-all and  
17 end-all, but it covers a tremendous amount of ground  
18 and I'm sure it will be useful to you, and I have a  
19 copy of it I can give you before we leave here.

20           MS. KANE: If I could add something on  
21 granularity also. I mentioned, I didn't show the  
22 slides, but attached to it the energy slides. I do  
23 think the Energy Zone's task of the EISPC is quite  
24 different from the scenario planning and modeling that

1 the rest of EISPC is doing, the rest of the project is  
2 doing, because that is specifically to provide in a  
3 much more granular way in map form the location of  
4 potential renewable resources in the entire Eastern  
5 Interconnection states. And it's going to look at,  
6 again, mapping biomass, clean coal, geothermal,  
7 nuclear, solar, PV, thermal, rooftop storage, including  
8 pumped hydro and compressed air energy storage, water,  
9 and wind and actually map them.

10           And I think it will be bringing together data  
11 from existing sources and new sources that hasn't been  
12 available or may have been available in very scattered  
13 ways, including working with the state wildlife  
14 agencies and other environmental groups to also map out  
15 the kind of prohibited zones for developing them. So,  
16 I think that that will be data in a more granular form  
17 that can be useful, obviously intended to be useful to  
18 the states in being turned over to them with the tools  
19 so that they can make planning decisions. But it could  
20 be interesting data, too, that as I said has not been,  
21 in a very general way, maybe known but is going to be  
22 much more granular and geographically identified.

23           MR. MEYER: Great. I want to turn now to  
24 Alison and some of our other staff here to see if they

1 (inaudible).

2 MS. SILVERSTEIN: Thank you all very much for  
3 your comments so far. Don't know if this is on, can  
4 you hear me?

5 Okay. Well, it may or may not, it is on,  
6 yeah. Let me ask you a different kind of question  
7 about granularity. Actually, I have one specifically  
8 for you, Chairman Brown. And I trust that you will  
9 segue from that into the broader question.

10 The narrow question for you is, besides Long  
11 Island is there other congestion in New York, within  
12 your state? And second, for all of you, the 2006 and  
13 2009 congestion studies were very, very broad in terms  
14 of saying this is where the congestion areas are,  
15 whether critical or not so much. And should this study  
16 be perhaps too broad? And when David invites you to  
17 talk about is there more granular information, do we  
18 run the risk or is there a downside to the Department  
19 instead of saying, okay, everything from south of D.C.  
20 up to Marcy substation, is a congestion area and a  
21 critical congestion area? Do we run some risk of being  
22 too precise or of getting it wrong if we go too  
23 granular instead of too broad in terms of identifying  
24 where congestion areas are? Again, congestion area in

1 the broad sense, as opposed to, this spot right here is  
2 congested.

3 MR. BROWN: I used Long Island as an example  
4 because it was the most extreme example because of the  
5 98 percent requirement. New York City certainly has  
6 the same sort of, there is obviously some congestion  
7 into New York City. I think their requirement right  
8 now is they have to have 81 percent of their resources  
9 in the city. So again, there's a pretty critical mass  
10 of generating facilities within the city. The  
11 transmission lines supplement that and provide some  
12 economic energy.

13 Those lines get loaded mainly, in my  
14 understanding, from an economic basis. Obviously our  
15 cheap resources are north and west, our loads are south  
16 and east. And so there are hours of the year where  
17 there is congestion. As they say, most of it is what I  
18 would describe as economic congestion. We're not  
19 taking advantage fully of all the cheaper resources,  
20 but as I mentioned we are not threatening the  
21 reliability of the system in our minds because of that  
22 congestion.

23 So, yes, there is congestion in New York. I  
24 think it's been there since Robert Moses and the hydro

1 plants were developed in the 1930s. It's almost a  
2 state of operating condition. The real question is, is  
3 it economic to relieve that congestion? And I'll let  
4 John Buechler talk about some of the work that the  
5 NYISO is doing, and I know the transmission owners are  
6 doing trying to determine, are there opportunities to  
7 relieve the congestion on specific segments of the line  
8 that would pay themselves off over the lifetime of the  
9 transmission upgrades.

10           Second half of the question, do you run the  
11 risk of getting too granular? The answer is probably  
12 yes, but you also get the risk of being too broad.  
13 Just having this big shaded area, I'm not sure what  
14 that precisely tells you, except we know that there is  
15 some congestion in those areas. But if you try to get  
16 down to an individual line, a single change in  
17 circumstances, a single plant closing, a single upgrade  
18 could influence whether that remains economic or not.

19           MS. SILVERSTEIN: Let me then invite all of  
20 you to offer suggestions as to what is a better way to  
21 identify congestions areas in the sense that the  
22 Department needs to do so in this study.

23           MR. MEYER: Fair question.

24           MR. FINLEY: In looking at the statute, I

1 think what we're interested in and what you're  
2 interested in identifying is national interest electric  
3 transmission corridors, and looking at things like the  
4 national energy policy and national defense and  
5 homeland security. So, to get too granular and get  
6 into areas where the states and other RTOs can fix it  
7 without input from the DOE or FERC, I think, is, you  
8 can get too granular. It's nice to know where the  
9 granularity is, but I think your interest is broader  
10 than that.

11 MR. NAZARIAN: I think there is value in  
12 trying to be more granular, if nothing else from a  
13 state's rights perspective. The narrower the swath,  
14 the less likely there may be to be disputes or  
15 contention over the exercise of the authority if it  
16 ever comes to that.

17 At the same time, and this is where not having  
18 any engineering background may be a disadvantage, but  
19 I'll articulate a principle at least I can understand,  
20 it's one thing to identify areas of congestion. It's  
21 entirely another, at least I'm coming to learn, to know  
22 how necessarily to solve it. So for example,  
23 congestion in Maryland was relieved to some extent by  
24 the TrAIL line, which did not touch our state. That's

1 a function of the way that the PJM system works. If  
2 you drew the quarter too narrowly to track the area of  
3 congestion but did it in a way that knocked out certain  
4 transmission or other solutions because the solution  
5 itself would fall outside the narrowly drawn corridor,  
6 that may be counter to the purpose of all this.

7           So, that's a principle. But, how exactly to  
8 limit that, I'm not sure. I can almost drive you to  
9 the spot that we most care about, but there may be a  
10 whole lot of different ways to address that, short of  
11 just painting the whole Mid-Atlantic region with one  
12 big, fat brush.

13           MR. VOLZ: Yeah, I agree with all my  
14 colleagues, but Ed Finley in particular, about what the  
15 focus of the Department of Energy ought to be. It  
16 ought to be on things that are going on that have a  
17 national import. So, because New England, I think, has  
18 the robust planning process I talked about because we  
19 don't have congestion today and we, and I think it's  
20 fair to say we're on top of that issue because we don't  
21 have congestion today, and I think it's fair to say  
22 we're on top of that issue, there wouldn't be any need  
23 for you to get a lot more granularity in our area, it  
24 wouldn't seem to me. But if we had a problem, maybe

1 you would need more granularity.

2 MS. SILVERSTEIN: Madam Chair?

3 MS. KANE: Yeah, I think it really makes a  
4 difference whether you're talking about physical  
5 congestion or economic congestion. And you know, for  
6 the District the TrAIL line was very important to us,  
7 too. It will never come to the District. The PATH  
8 line and the MAP line are also going to be very  
9 important for us, they're totally in other states. And  
10 they're important not so much, again, for reliability  
11 but for economic congestion.

12 And I guess this depends on how you define the  
13 national interest. You know, what is the national  
14 interest? Is the national interest that electricity be  
15 affordable? Is the national interest that we have more  
16 renewables, more other clean air and environmental  
17 reasons, and for security -- for national security?  
18 It's a very broad term that, you know, can mean very  
19 different things.

20 MS. SILVERSTEIN: Well, sadly the statute left  
21 it so broad.

22 MS. KANE: That's right.

23 MS. SILVERSTEIN: So, for our marching orders?

24 MS. KANE: I mean, obviously it's in the

1 national interest that, and which is the reason for the  
2 emergency order keeping the Potomac River plant  
3 operating back in 2004, when the state of Virginia was  
4 threatening to close it down or did close it down,  
5 because that plant served downtown, the White House,  
6 the federal agencies, et cetera, et cetera. So it was  
7 very much in the national interest that they have their  
8 lights on, but it's, everyone's lights on.

9           But, you know, the affordability of  
10 electricity as well as national independence, energy  
11 independence, are also national interests.

12           MS. SILVERSTEIN: Thank you. And we're going  
13 to ask one last very short question.

14           MS. FISHER: Hi, Emily Fisher from Lawrence  
15 Berkley National Lab. I have a question about the EPA  
16 regulations that are new and pending, and I hope that  
17 you all know kind of which ones I'm talking about.

18 (Laughter)

19           So I was hoping you could speak to how these  
20 EPA regulations may affect congestion, and your  
21 thoughts possibly on how the Department could address  
22 these in the study? And I'll take your comments  
23 sitting down so I can take notes. Thanks.

24           MR. BROWN: This is truly, I haven't used the

1 expression yet and I had to get it in once, one size  
2 does not fit all. And this answer is the perfect  
3 answer that it's going to be, you could make the  
4 argument that perhaps in New York state, that perhaps  
5 the EPA regs will relieve congestion. If some of the  
6 older coal plants upstate, the cheaper plants, shut  
7 down, there won't be as much to move it down to the  
8 Southeast areas.

9 I am sure that there are other regions of the  
10 country where it would have exactly the opposite  
11 effect. So I don't think you can really come up with a  
12 single statement that says it's going to relieve  
13 congestion or add congestion. You're going to have to  
14 look at the mix of plants, where they are, where the  
15 transmission is, where the load is, and I imagine it  
16 will have different effects in different places.

17 MR. FINLEY: Yeah, I think one of the results  
18 of these CSAPR and other regulations is, it's going to  
19 cause the shutting down of coal plants. Some of the  
20 older ones, the uncontrolled plants. And some of those  
21 plants are used primarily just because of the  
22 transmission path that they provide to get the power  
23 from one area to another. And if you cut those plants  
24 off, you know, you lose that transmission path. So

1 that all sorts of ramifications that could occur as a  
2 result of these regulations, because plants are going  
3 to be closing, other plants are going to have to be  
4 built to provide the generation that those closed  
5 plants would otherwise provide. So it's going to  
6 change the landscape, and it's a good question to look  
7 at as what that's going to do about transmission  
8 reliability and the economy.

9 MS. KANE: You know, FERC just had a technical  
10 conference last week I testified at on the impact of  
11 the BACT and the CSAPR and the other proposed rules,  
12 EPA rules, on reliability and meeting their liability  
13 standards. But it's the same issue in terms of  
14 congestion. So there was a lot of good information put  
15 forward at that technical conference, a two-day  
16 technical conference. It would be worth looking at in  
17 terms of the answer to your question.

18 MR. VOLZ: I don't have anything to add.

19 MR. NAZARIAN: Right. The only thing I would  
20 add is one size totally doesn't fit all, and in our  
21 state anyway where we've had our own environmental  
22 regulations in place for five years that have required  
23 nearly all of our coal plants to get scrubbed and  
24 retrofitted, my guess is that it won't have any impact

1 on congestion in the areas that are congested. It may  
2 have an impact on what's available outside the  
3 congested area to come in.

4 MR. BRISINI: Mr. Nazarian, you had mentioned  
5 that Maryland has acquired I think a total of 1.4  
6 gigawatts of demand response generation? How many  
7 megawatts are backed up behind the meter generation?

8 MR. NAZARIAN: You mean, how much of the  
9 demand response takes the form of --

10 MR. BRISINI: Are backed up --

11 MR. NAZARIAN: Back up generators?

12 MR. BRISINI: Demand response. They come off  
13 the grid but they basically turn on their own  
14 generation.

15 MR. NAZARIAN: I don't know precisely.  
16 There's at least 6 or 700 megawatts of it that takes  
17 the form of residential load control programs that  
18 wouldn't be backed up, unless I suppose those folks  
19 have backup generators at their houses, but that seems  
20 unlikely. There's a fair amount of DR in Maryland that  
21 is backed up by backup generators. I could probably  
22 track down a number like that, I don't have it off the  
23 top of my head.

24 MR. BRISINI: Have you discussed with your

1 environmental regulators the impact on their high  
2 electric demand regulation?

3 MR. NAZARIAN: Yes. In fact, those  
4 regulations were revised a couple of years ago in  
5 cooperation with us with exactly that in mind. That  
6 there were a lot of uncontrolled backup generators in  
7 the state that had run-time limitations that, and one  
8 of the ways it's happened is the Department and the  
9 environment has been getting much more aggressive about  
10 making sure those backup generators have air permits.  
11 And in order for them to have an air permit, they have  
12 to get from us an exemption to our certificate of  
13 public convenience, a necessity requirement.

14 MR. BRISINI: So you will disclose behind the  
15 meter generation?

16 MR. NAZARIAN: We know because we've issued  
17 exemptions what backup generators there are. Now,  
18 connecting those to DR participants is harder, because  
19 if they've participated in DR either through, either  
20 directly with PJM or through a curtailment service  
21 provider, we're not going to be able to connect those  
22 dots.

23 But what I can tell you is, we can tell you  
24 how much backup generation there is, and in many cases

1 because we've put in our application form a specific  
2 part for them to tell us whether they're interested in  
3 demand response because we want to connect them with  
4 the PJM demand response programs we'll have some  
5 understanding of their interest in participating in DR.  
6 So we'd be able to back into some of that and maybe get  
7 an order of magnitude.

8 MR. BRISINI: Yeah, the reason being  
9 Connecticut when they did their research they found  
10 that their emissions from behind the meter generation  
11 was three times the emissions reduction they would  
12 achieve with a high electric demand regulation.

13 So, I just cautioned everyone to be concerned  
14 about those issues because they are the days of  
15 concern.

16 MR. MEYER: Okay. Well, we've run over time.  
17 Join me in thanking our panelists. This was a very  
18 useful discussion. (Applause)

19 Let's return to our seats in 10 minutes. That  
20 would be about 10 minutes to 11:00.

21 (Recess)

22 MR. MEYER: Please sit down. Well, our  
23 industry panel has a tough act to follow, but I'm sure  
24 some stars will emerge here and so we look forward to

1 their discussion.

2           Let me briefly introduce our speakers here.  
3 We have Robert Bradish from American Electric Power  
4 sitting here on the end. We have John Buechler from  
5 the New York Independent System Operator, John is over  
6 here. We have Jim Busbin, who is with the Southern  
7 Company right here. And we have Mike Henderson from  
8 ISO New England, and we have Chuck Liebold from PJM.

9           So with that, gentlemen, we'll proceed in the  
10 order listed on the agenda, starting with Mr. Bradish.

11           MR. BRADISH: Good morning. Can you hear me,  
12 am I close enough to the mic? Good.

13           As it indicates, I'm Bob Bradish. I'm the  
14 head of the Transmission Planning Group at AEP. We've  
15 got a few bullets about AEP. Given all the mergers  
16 that are going on in industry today, these bullets are  
17 going to be changing, I would think, pretty soon when  
18 we talk about biggest and largest and things like that.

19           AEP has a fairly substantial transmission  
20 system. We operate in 11 states, and those 11 states  
21 are involved in 3 different RTOs: PJM, SPP, and ERCOT.  
22 We're also fairly active in the MISO RTO with our  
23 transmission activities there.

24           This morning I'm going to spend most of my

1 time or all my time focusing on the PJM footprint, our  
2 activities in the PJM, and to the extent they interact  
3 with and are impacted by MISO, also.

4           So, I tried to structure this presentation  
5 around the questions that were sent out. And so the  
6 first one talked about the 2009 study, and I think the  
7 general theme is, I'm coming to agreement with what the  
8 panelists said this morning and what I think the  
9 Department has heard previously. While the study  
10 conclusions are appropriate, they are very high-level  
11 and I think the data you used and the challenges you  
12 had with the data you mentioned would lead you down to  
13 the conclusions you got to, primarily because that is  
14 the structure of the market as it exists today. I  
15 think there are structural issues within the  
16 transmission, interaction in the markets that will lead  
17 you to that conclusion. And those structures are there  
18 today, and really the question is, will those  
19 structures change going forward? And I do think there  
20 are some issues that are approaching us or that are  
21 upon us now that will impact that and, hence, will  
22 change the ultimate congestion patterns going forward.

23           The challenge is timing of that. But yeah,  
24 kind of overly broad and maybe you missed some areas.

1 The question there again that came up again this  
2 morning, is that nationally significant? And so that's  
3 the definition. What do we mean when we say  
4 "nationally significant?" We as transmission planners,  
5 and we can point to areas that maybe the study didn't  
6 touch on, but is it just local and really not something  
7 that study ought to be worried about?

8           They Type 1 and Type 2 areas were very large  
9 geographic areas. Given where things have progressed  
10 today, I would argue that maybe the Type 1s maybe  
11 missed the boat a little bit given what we're seeing  
12 today in terms of where the wind has actually developed  
13 and the problems we are experiencing on our grid today.  
14 I would have moved it a little bit further east than it  
15 was probably in that report.

16           And then, the whole issue of a limited ability  
17 to address emerging issues. And some of the panelists  
18 hit on this morning. You know, I don't know exactly  
19 how to interpret the charge of the department, existing  
20 congestion. I will talk about in here what I think  
21 existing congestion is.

22           But as a transmission planner, it doesn't do  
23 me much good today to look at what's happening on my  
24 grid today and put a transmission line that's not going

1 to come into service for potentially 10 years. I need  
2 to have that forward-looking view. As a transmission  
3 planner, I need to look forward. That by definition is  
4 what we do as planners. So, a study that's going to  
5 help us and identify corridors has to be forward-  
6 looking. So somehow we have to get past this issue of  
7 what's happening today versus what's going to happen,  
8 and what's going to drive the future needs of the  
9 transmission. I certainly don't want to go out there  
10 and build a transmission line where ultimately the need  
11 is not there because in 10 years something has changed,  
12 patterns have changed, and I didn't really capture that  
13 in my analysis going forward. So, we have to speak to  
14 that a little bit.

15           So, I think one of the earlier questions  
16 talked about is there congestion on your system? Has  
17 it changed over time? And what I've pulled up here is  
18 information out of, actually, it's the PJM Market  
19 Monitors Report. They put out a report every year,  
20 actually it's quarterly, and then they do an annual  
21 version of that. That shows the congestion on the AP  
22 system.

23           And so, the X-axis years, it starts at 2005  
24 and goes through 2011. That's through September of

1 2011. The blue represents the day ahead congestion,  
2 and that cost is in millions of dollars. So, that's  
3 \$350 million. Day ahead congestion, a negative 150.  
4 Balancing congestion, one looks at that and says,  
5 what's it mean when they're positive and negative?  
6 While they mean different things to different  
7 participants, at the end of the day we end up with a  
8 total of \$200 million in 2005. And you can look at the  
9 trend for yourself and draw your own conclusions, but  
10 the trend over time has stayed pretty constant from  
11 2005 through 2008. It took a little dip in 2009, but  
12 we also know what happened in 2009 economically demand  
13 wise, things like that. It started coming back in  
14 2010. 2011 is already at 2010 levels and that only  
15 goes through September, so we've got another four  
16 months or three months, I guess. October, November,  
17 December, yeah, three months before we get the final  
18 numbers on there.

19           So, if you dig down deeper and the market  
20 monitor does provide further details in these numbers,  
21 there's significant volatility in individual  
22 components. Because you can look at it from a load  
23 perspective, you can look at it from a generator's  
24 perspective, and they do have very different

1 perspectives, and some of those years the numbers were  
2 in the billion dollars range, a little bit over a  
3 billion dollars for a given component. And then that  
4 got offset by another billion dollar hit to another  
5 component, so the things end up netting out to where  
6 they netted out. But there are substantial swings in  
7 congestion when you get down to the granular level,  
8 depending on whether you're looking at a load, from a  
9 load perspective, a generator perspective, or just the  
10 overall market perspective.

11           There are a couple areas on the PJM system,  
12 on the AEP system that were part of PJM where I think  
13 we've got a growing concern with congestion. And it's  
14 starting to show up in 2011, and I think it's going to  
15 continue to show up, and I'm going to talk about a  
16 little bit throughout my presentation. But we do have  
17 where I've labeled the wind belt, and I think  
18 everybody's familiar now with where the wind resources  
19 are in this country relative to where the load is at in  
20 this country. And where AEP transmission happens to  
21 sit we run all the way out to Indiana and Illinois on  
22 the Western side, and Indiana and Illinois and now  
23 Northwestern Ohio are seeing tremendous growth in wind  
24 integrations. And a lot of that is now starting to

1 show up in the way of congestion in our transmission  
2 system out there. And there's good reasons why it is,  
3 and some of it is, again, I'll go back to the  
4 structural issue, not so much physical structural issue  
5 but actually they have processes they were doing that's  
6 actually contributing, I think, to what we're seeing  
7 now as this growing congestion issue with the wind in  
8 the western part of our system.

9           And the other piece, and I'm going to talk  
10 about this a little bit. Well, this is the issue I  
11 want to talk about, the capacity disconnect I have down  
12 here. And this is very important because in the  
13 markets we started with the definition of capacity as  
14 driven by the resource planning team. So, the resource  
15 planning folks have a definition of capacity, and that  
16 definition of capacity is then handed to the  
17 transmission team uses that when they do their  
18 planning. And there's a big disconnect when you're  
19 looking at a transmission planning perspective and a  
20 resource planning perspective how you use or where I'm  
21 going to get the maximum demand on my system. I'm  
22 going to assume rightly and wrongly that generation is  
23 available because markets have told me you're not even  
24 allowed to take generation now, just during the summer,

1 unless you've got really good reason to do that. So  
2 I'm assuming most of my generation is available, so I  
3 don't have to worry so much about that.

4 I know what the load is. Transmission outages  
5 aren't going to be an issue for me, because I'm going  
6 to restrict those, too, because I have to plan those a  
7 year in advance. So when I'm doing planning, I was a  
8 transmission planner and I'm looking at this. I've got  
9 all those, it's got lots of scenarios and lots of  
10 variations to it. I've got a lot of fairly  
11 straightforward analysis to do peak analysis.

12 And that's how we've planned our systems.  
13 Problem we've got is that the wind, now, shows up and  
14 the generation side of the business said, I'm going to  
15 rate that 100 megawatt wind farm as 15 megawatts or  
16 maybe 10 megawatts. So, rather than putting in a 100  
17 megawatt wind farm in my transmission model, I'm  
18 putting in a 15 megawatt wind farm in my transmission  
19 model. Even though it can produce 100, I'm setting it  
20 at 15. And I'm doing this peak analysis and I'm  
21 finding out, well, I'm not having that much problem,  
22 I've got room on my system. The challenge you've got  
23 is that the second picture there shows what the wind  
24 actually does.

1           We're measuring the capacity during the summer  
2 peak period, when in reality you've got a wind farm  
3 that will generate year-round, and then the off-peak  
4 periods, shoulder peak periods, will produce those 100  
5 megawatts from time to time. I've got an issue with  
6 that as a transmission planner. How do I deal with  
7 that?

8           And these percentages, whether it's 15 percent  
9 or 13 percent or 20 percent, these aren't even industry  
10 standards, they're planning authority driven. So each  
11 of the planning authorities have their own approach to  
12 doing that. And they are resource dependent in that  
13 most of the planning authorities at least look at,  
14 eventually get to how has this wind farm performed  
15 historically. And so based on the quality of the wind  
16 resource, that wind farm will get a certain rating  
17 eventually through time..

18           So, we expand this issue, this capacity  
19 disconnect. I've got a situation now, and I just threw  
20 up a simple example. You've got remote wind areas,  
21 which we know we have in the United States. You've got  
22 demand area that's fairly far from it, and I've got  
23 4,000 megawatts of wind capacity that's sitting out  
24 there, wants to get on my grid, but I'm only going to

1 assume it has a rating of 600 megawatts. And so, I'm  
2 going to plan a transmission system that's capable of  
3 600 megawatts, firm. What do I do with the other 3,400  
4 megawatts if it shows up?

5 Right now I'm doing this and hoping it doesn't  
6 show up during those peak periods, and there's good  
7 reason to believe it's not going to because, you know,  
8 there's good meteorological data that says the wind  
9 doesn't blow real hard in the summertime, it blows  
10 harder in the other periods, but it's not guaranteed.  
11 That's not a guarantee that it's not going to happen in  
12 the summertime. But I've got 3,400 megawatts that's  
13 going to show up at some point in time, or close to it.  
14 And there's diversity there and some will say, maybe  
15 not 3,400, but this is only an example. We could put  
16 5,000, say the 3,400 is going to be there.

17 So, what do I do? What do I plan? Right now  
18 I'm planning the 600 megawatts firm. And so what  
19 happens to the system in the off-peak periods when all  
20 4,000 shows up? Well, it's happening now and it's  
21 causing issues on our transmission grid. And the  
22 challenge we've got, we'll talk a little bit about this  
23 a little bit further, is that in our particular  
24 situation, AEP happens to sit on the seam between PJM

1 and MISO. And PJM looks very closely at its system,  
2 MISO looks very closely at its system, but there really  
3 isn't anybody looking that closely at the two and how  
4 they interact together, except for us who are feeling  
5 it and we're talking to both. Very actively talking to  
6 both trying to get this thing worked out so we can deal  
7 with this issue. Because if the wind shows up on MISO,  
8 this is a free flowing network. It's going to flow in  
9 our system. Wind gets connected to the PJM system,  
10 free flowing, it's going to show up on MISO system,  
11 too. So we're dealing with that issue. So we've got  
12 significant congestion issues starting to pop up.

13           The challenge you have also as a planner,  
14 because I mentioned before when you're doing peak  
15 planning you're really just looking at the peak hour  
16 and that simplifies things a lot. You know, there's  
17 8,760 of them in the year, you're looking at 1 of them.  
18 What do I do with the other 8,759 hours? How do I look  
19 at them? How do I study them? At what point do I get  
20 worried? So we can do light load studies, and folks  
21 are doing light load studies, off-peak studies,  
22 shoulder peak studies, but they're still only a  
23 snapshot. They're not like peak studies where a  
24 snapshot is only captured in that peak number. I don't

1 know during those other 8,759 hours what I'm going to  
2 get for wind. This is going to, if this structural  
3 issue, this planning issue is not addressed, we are  
4 just going to see a whole bunch more congestion in this  
5 area.

6           And it's something I don't know. Again, I  
7 don't know how or what the department can do on this  
8 issue. I'm not sure how you address it, quite frankly.  
9 It's one we're dealing with, one we have to live with,  
10 but it certainly will drive congestion going forward.  
11 I don't know, I beat that one pretty hard. So, let's  
12 move on.

13           So, a lot of these, what I've defined today as  
14 the areas where I think, you know, the Department needs  
15 to look to address congestion issues, and I think a lot  
16 of these were talked about in the morning session.  
17 Certainly we've got lots of information, at least in  
18 the RTOs, about locational marginal prices. They've  
19 got those. You've got the market monitors putting out  
20 their reports that also talk about congestion. I just  
21 showed you the one for AEP that I pulled out of PJM's  
22 report. So, there's lots of information out there. I  
23 don't think it tells you the whole story because  
24 there's a lot that goes beyond, goes on in the markets

1 behind the actual LMP numbers.

2           And some of that I speak from experience  
3 because I used to be, I used to head up our wholesale  
4 operations, so I used to manage our generation fleet  
5 within these RTOs. So I would offer our units in, I  
6 would bid our load in, and I've got a lot of experience  
7 with that interaction with the RTOs, and I'll just say  
8 that some of that's not as efficient, there's lots of  
9 good analytics, there's lots of good academics around  
10 it. But when the rubber hits the road, there's some  
11 efficiencies that pop into the process.

12           The other one is the coordinated flowgate  
13 transfer payments, which are similar to this LMP thing  
14 and the -- certainly the gentleman from PJM, Chuck,  
15 could speak to this a lot better. And there was recent  
16 discussion between PJM and MISO in front of FERC on  
17 this issue as to who owes who what, but basically they  
18 coordinate their flowgates and they make payments to  
19 each other based on how they're utilizing each other's  
20 flowgates. That is a form of congestion and is a cost  
21 that's there.

22           Transmission loading relief, I know the  
23 Department knows this one very well. The challenge  
24 with this, of course, this is the other option when you

1 don't have an energy market, but it's hard to put a  
2 value around that. You can see where transactions are  
3 getting interrupted but it's very hard to value that  
4 type of thing.

5           One of the inefficiencies that I alluded to  
6 earlier is this manual curtailment of intermittent  
7 resources. I might even expand that and say it's  
8 manual curtailment and a lot of resources get it. When  
9 I was, again, head of the generation, the wholesale  
10 operations, we got verbal instructions all the time  
11 from our operators because their systems weren't quite  
12 capable of making a solution, solving things in time,  
13 so they would verbally dispatch us down. Those types  
14 of things end up not showing up in the dispatch  
15 decisions or in the LMPs. So when someone's out there  
16 manually curtailing things, unfortunately those  
17 economics, the economics of those results don't show up  
18 in the LMPs. They don't show up in other places. And  
19 I just put up a slide to show, the graph to show what  
20 MISO manual curtailments have been. I didn't have an  
21 equivalent slide for PJM, I'm sure there is one out  
22 there. But, you can see from 2009 to 2010 the numbers  
23 jump significantly.

24           Now, MISO has been proactive on this. They've

1 gone after it a little bit. They've got this thing  
2 called dispatchable resource program that they're  
3 running now, that they're actually allowing wind farms  
4 to engage in the market a little bit more fully so they  
5 can dispatch wind farms. As challenging as that is,  
6 that's certainly going down. I can see it coming up  
7 may be a little more of a challenge, if the wind is not  
8 there.

9           Sorry, go ahead. I talk too much. Increasing  
10 transmission switching actions, certainly they're out  
11 there. The other area I want to point to very quickly,  
12 that's the generation interconnection queue. And I  
13 will argue that that, indeed, is congestion. Now some  
14 folks may take issue with that, but if the definition  
15 of it is, and I pulled the language that's underneath  
16 it, large source of generation lacking adequate  
17 transmission capacity. Then everything in the queue  
18 fits that definition.

19           What we've done is, as planners we were able  
20 to find the cheapest solutions possible to get as much  
21 generation on as we possibly could. So we've used up  
22 all the cheap capacity that we possibly could to get  
23 these wind farms on. Now the problem you've got is the  
24 next wind farm that wants to come on is looking at a

1 very big investment. It's looking at a very major EHV  
2 investment. No wind farm can handle that by itself, so  
3 we've got this little issue here. Certainly it's a  
4 large potential resource sitting there that doesn't  
5 have access to the grid. And the other is capacity  
6 market congestion. I would encourage you to look at  
7 that. Others mentioned that this morning.

8           One of the things we had is, what brings this,  
9 makes it a national issue? I tried to use this one as  
10 an example of a project that we recently planned,  
11 submitted to FERC and approved rates on. It's the  
12 RITELine Project; it basically runs across Illinois  
13 from Iowa to Ohio across Illinois and Indiana. The  
14 point of raising this is just to simply show that  
15 something like this allows for the integration of  
16 initial 5,000 megawatts of wind and provides very  
17 significant economic benefit. Is that what it takes to  
18 get it to a national level? I don't know.

19           So, I'm wrapping up. Source material, you had  
20 asked for additional source material. I agree with you  
21 in terms of the quality of some of the data that you  
22 need is lacking in terms of, you know, actual load  
23 data, things like that where you can actually get your  
24 hands on that. The RTOs certainly do provide a lot of

1 data, they do a lot of studies, I know you guys are  
2 looking at those.

3 I agree with the earlier speakers. RTO is  
4 much more of a granular view. EIPC has got some  
5 interesting scenarios in it. It's a much higher level  
6 view, I would say. The combination of those two  
7 together would certainly help.

8 There's another study that we had participated  
9 in called the SMARTransmission Study. I point to that  
10 only because there's a certain perspective we took in  
11 that that may be useful for the Department to look at  
12 in how we approach that one. It did look at  
13 integrating 58 gigawatts of wind in that Midwest  
14 region, and how you would integrate that and move that  
15 to markets..

16 Then other considerations. There's no  
17 question trying to study congestion and trying to get a  
18 handle on it and trying to identify where it's going to  
19 be is challenging. And pretty much anything that I  
20 said here moves faster than the speed of transmission,  
21 which in today's market seems to be just about  
22 anything, other than maybe nuclear, is moving faster  
23 than transmission. Those are things you've got to look  
24 at, and unfortunately it's not an easy task. But I'd

1 certainly be willing to help out and do what I can  
2 along the way.

3 Thanks.

4 MR. BUECHLER: Good morning, everyone. I'd  
5 like to thank, first of all, the DOE for inviting me  
6 back again here as I've been participating in all three  
7 of the congestion studies now at this point. Thank  
8 you.

9 I did skip the usual NYISO boilerplate because  
10 I think most of the people here have already seen the  
11 "NYISO, hub of the Northeast" slide probably more times  
12 than you care to, so I omitted that. And I tried to  
13 address the six questions that were queued up by the  
14 DOE for this conference, and its general outline of  
15 topics I'm going to be discussing.

16 The first question which one of our people has  
17 already addressed is, what did NYISO think of the 2009  
18 Congestion Study? In our formal comments that we filed  
19 with the Department, we expressed our general agreement  
20 with the DOE findings with the Mid-Atlantic region. We  
21 noted, however, that the 2009 study was primarily based  
22 on 2007 historic data and that at that point of our  
23 comments we noted that congestion had declined in 2009  
24 and we'll have a little bit more to update on that in a

1 moment.

2           We also noted, as was mentioned by Chairman  
3 Brown this morning, that in New York at least,  
4 congestion is not a reliability problem. I'm happy to  
5 say that that still remains the case, based upon our  
6 comprehensive system planning analyses. We also noted  
7 two changes in approach in the 2009 study from the 2006  
8 study, and we expressed our support for both. One was  
9 the recognition that all resource options should be  
10 considered, not just transmission as the only solution  
11 to congestion. And also, the recognition that all  
12 congestion does not need to be solved.

13           In addition, DOE in the 2009 study made good  
14 use of existing regional plans and existing data, and  
15 we encourage them to do the same. And apparently,  
16 that's their intent from the comments that have been  
17 discussed here already today.

18           What are some updates for the New York control  
19 area since the 2009 study? Congestion has declined to  
20 a more "normal" level from the high point in 2008.  
21 There are three principal reasons for this. Fuel  
22 costs, especially natural gas costs, have declined  
23 significantly over the past several years. Additional  
24 resources have been added in the downstate region of

1 New York, and load growth has declined significantly  
2 due to the overall economic environment, as well as  
3 increased penetration of statewide conservation  
4 measures.

5 I have a few slides that provide some support  
6 for those two statements. Natural gas prices: The  
7 Transco's fixed price in New York from a high point in  
8 2008 of about \$14 to what I'll call a more normal,  
9 stable point except for the traditional winter  
10 variations of about \$4 to \$5 over the past several  
11 years.

12 New generation has been added of the total  
13 amount of generation that's been added, and I thought  
14 there was something else on this slide here, actually.  
15 It was almost, I think, 2,700 megawatts of generation  
16 added statewide and 1,700 megawatts of that was in the  
17 downstate area east and south of the Central East  
18 Constraint of New York over the past 3 years.

19 Oh, there it is, okay. I didn't know I had  
20 that animation in there, to tell you the truth.

21 (Laughter)

22 Decline in load growth. These are the words,  
23 but the picture probably tells it better. The 2008  
24 forecast in New York was for an almost 1.2 percent

1 growth rate between 2008 and '10, which we chalk up to  
2 the economy. There was a real decrease in load of  
3 almost 1.3 percent from those years, which bring it to  
4 a new starting point in the load forecast. And if you  
5 look at our forecast in our current 2011 goal book  
6 projections, after the inclusion of energy efficiency  
7 we're now projecting over the next 10 years a mere.41  
8 percent load growth for New York as a whole.

9 I think I've talked about the congestion  
10 metrics as New York defines it and as we've worked out  
11 with our stakeholders many years ago. We've been  
12 keeping track of congestion, utilizing these metrics  
13 since 2003. The primary metric for congestion in New  
14 York is bid production cost. We believe that this  
15 measures the societal benefits of congestion. There  
16 are other metrics that we report for informational  
17 purposes: unhedged congestion, generator payments, and  
18 unhedged load payments. The key to some of these other  
19 metrics is the term "unhedged." While there was some  
20 discussion this morning about congestion, the  
21 definition we believe is very important. And again, we  
22 certainly would recommend as we have done in the past  
23 to the Department to consider the use of bid production  
24 cost.

1           If that's not done, and recognizing that the  
2 more traditional value of congestion that's used is  
3 what I'm' going to call an accounting value of  
4 congestion, which is the congestion component of LMP.  
5 You need to recognize whether that, in fact, is hedged,  
6 whether that, in fact, is paid by consumers or not.

7           In New York at least, there is a significant  
8 amount of hedges to congestion in the North-South  
9 region of New York, due to legacy, historic,  
10 grandfathered, whatever you want to call it --  
11 preexisting contracts or willing agreements. You need  
12 to account for that, we believe strongly. You need to  
13 account for that factor.

14           We report each of these congestion metrics  
15 daily, by zone. We have 11 zones in New York. There's  
16 a lot of data there and it's all on our website at the  
17 link given.

18           Back to the comment I made earlier about the  
19 declining congestion from 2008. I know this is a  
20 little bit hard to see, but the yellow line is 2008,  
21 which is cumulative congestion, again with the bid  
22 production cost definition of about \$240 million in  
23 2008.

24           If you look down to the bottom you've got the

1 blue lines, basically the lowest two lines on the curve  
2 if you look out at the end of the year, down to more  
3 like a \$90 million congestion level over the past  
4 couple of years. This is just an example of the  
5 various metrics we report by zone.

6           This is a summary, again on an annual basis.  
7 And this is for what are some of the factors impacting  
8 congestion? Certainly a number of these have been  
9 mentioned before: The economic downturn; slow recovery  
10 of load growth projections; stable fuel price  
11 projections based in large measure, at least relevant  
12 certainly to the Northeast through the increase in  
13 shale gas production; new generation additions in  
14 eastern and downstate regions. Somewhat counter to  
15 that but it is a factor affecting congestion,  
16 certainly, is new wind congestion, which in New York is  
17 typically located in the upstate region, and I'll show  
18 you an exhibit on that in a few minutes; the impact of  
19 statewide energy programs and proposed transmission  
20 additions, and we have several of a proposal of  
21 transmission additions that are in various stages of  
22 study right now in New York that could have a  
23 significant impact on upstate to downstate congestion.

24           To remind everybody about what the typical

1 power flow in New York looks like, and I think Chairman  
2 Brown alluded to this before, the cheaper generation is  
3 located to the north and west in New York. Large hydro  
4 projects, large nuclear facilities, some coal units up  
5 in that area. More than half the load is located in  
6 the Southeast, lower Hudson Valley, New York City, and  
7 Long Island. So that's the typical direction of power  
8 flows in New York.

9 I know you can't read this. This is a summary  
10 of all the projects in our generation queue as of the  
11 end of last month. The color coding you can read,  
12 however. The dominant additions or proposed additions  
13 are defined by the color code. The green is all wind,  
14 and that's in the North Country so-called, and in the  
15 west and in the southern tier, if you will.

16 Looking down towards the Southeast, the gray  
17 area are fossil units, largely gas fired combined  
18 cycle, if not solely, in the Hudson Valley and in New  
19 York City. And there actually is a significantly sized  
20 wind project proposed on Long Island, so that's the  
21 green out there on Eastern Long Island. You can see  
22 the listing of all of these projects, again, on our  
23 website and I have a link to that later on.

24 Wind is, I call it a future congestion

1 challenge. With the amount of wind we have currently  
2 in service, roughly 1,300+ megawatts, we have not  
3 experienced any significant congestion due to wind or  
4 significant limitations. Not that there have not been  
5 curtailments at times, which we largely handle through  
6 our markets right now. We have another almost 6,000  
7 megawatts of wind in the queue, however, and in those  
8 locations that I showed if they develop up there that  
9 will be a challenge and will increase congestion.  
10 Again, not significantly as we've shown in a detailed  
11 study that we completed just last year.

12           Current or conditional congestion. I guess  
13 maybe I took a little different twist than the  
14 definition that David showed earlier on conditional  
15 congestion, and I'm viewing conditional congestion in  
16 the sense of a what if-or scenario type analyses. And  
17 in that sense, we do look at that on a regular basis on  
18 both our economic and reliability planning processes.

19           On the economic side, which deals more  
20 directly with congestion, obviously we are in the  
21 second cycle of our economic planning process. That is  
22 due for completion in the early part of 2012, and there  
23 we do evaluate the highest sources of congestion, those  
24 that I mentioned earlier, the historical basis, but we

1 also use a 10-year projection. We then analyze the  
2 potential benefits of various types of resource  
3 solutions to those congestion locations, and we look at  
4 generation transmission and demand response. These are  
5 generic, these are estimates that are developed with  
6 our stakeholders, these are not actual projects. And  
7 then that information is provided in the final report  
8 as information to the marketplace to consider.

9           A third or fourth question that was asked,  
10 what are the potential risks of congestion? I think  
11 specifically, but I think we have two significant  
12 potential risks in New York. There could be risks of  
13 congestion and/or, more importantly, risk to  
14 reliability. One has been mentioned already in a  
15 question from the Department, the impact depending of  
16 environmental regulations, which may lead to the  
17 retirement of generation in critical locations in New  
18 York. As Chairwoman Kane pointed out, a large topic of  
19 discussion in many places all around Washington these  
20 days. That is a concern for New York, more on a local  
21 basis than on a broad general basis because we do not  
22 have a whole lot of coal units that are left in the  
23 state. A lot of the smaller ones have been retiring  
24 over the past several years.

1           The second significant potential risk in New  
2 York is the possible retirement of the Indian Point  
3 Nuclear Power Plant at the end of its current operating  
4 license. That would remove over 2,000 megawatts of  
5 supply from the critical downstate region.

6           What are some of the consequences of  
7 congestion? And again, I point back to these two  
8 general important categories of risks. They are, to  
9 the extent that these things come to pass, and some are  
10 more certain than others, we may have adverse impacts  
11 on both reliability and congestion in New York. As I  
12 mentioned before, we do study these risks, specifically  
13 for these types of risks and others in extensive  
14 scenario analysis as part of our reliability and  
15 economic planning processes.

16           A little different aspect is that resource  
17 retirements could lead to a reduction in fuel diversity  
18 and an increased dependence on natural gas since  
19 virtually all the new fossil fire plants are natural  
20 gas fired. The New York ISO is engaged right now in  
21 planning a study of the gas-electric interdependencies  
22 for the Northeast region, and we've been talking to our  
23 adjacent neighbors on that study. We believe these  
24 are, again, some specific questions about consequences

1 of congestion in the DOE's invitation. That our  
2 wholesale market design and our continued market  
3 monitoring are adequate to deal with any potential  
4 market power issues that we envision from any of these  
5 potential risks. And I think I mentioned before, we  
6 consider all resources as potential solutions.

7           Our locational energy and capacity markets, I  
8 think also, are important in this aspect that they  
9 provide the appropriate locational signals for locating  
10 replacement resources, be they transmission or  
11 generation or demand response in the areas which tend  
12 to reduce congestion. And we've seen that historically  
13 by just that, by the location of those resources since  
14 the NYISO markets have been in operation.

15           And finally, the shutdown of Indian Point will  
16 likely have significant environmental, economic, and  
17 reliability impacts, and that's according to a report  
18 prepared for the City of New York and recently released  
19 a couple of months ago. What are mitigation options?  
20 I think most of these have been talked about before.  
21 Obviously the appropriate location of resources in the  
22 appropriate places, be it transmission generation or  
23 demand response.

24           And then finally, EIPC. I have to say, I

1 agree with the comments made by the regulatory panel  
2 this morning that the DOE project under EIPC is not a  
3 Congestion Study. It is a broader, longer-range-  
4 looking analysis that may provide some insights for  
5 this DOE Congestion Study, but it will not provide any  
6 direct input to address the congestion impacts. And  
7 again, the project is scheduled for completion by the  
8 end of next year.

9           So, thank you very much.

10           MR. BROWN: Think you can handle that?

11           MR. BUECHLER: Jim is next.

12           MR. BUSBIN: Good morning. I'm Jim Busbin  
13 from Southern Company. I would like to thank David  
14 Meyer for inviting me here today to speak to you. And  
15 I welcome the opportunity to comment on several of the  
16 questions that were posed to us as panelists. The  
17 areas I'd like to cover this morning deal specifically,  
18 or cover the areas of metrics to be used in the study.  
19 Also, I want to cover present and future congestion,  
20 and I'll end with a few comments on our experience with  
21 EIPC.

22           In looking at question number 2, what factors  
23 should DOE look at when evaluating congestion and  
24 identifying congestion areas, the 2009 Congestion Study

1 defines congestion as a condition that occurs when  
2 transmission capacity in a specific location is not  
3 sufficient to enable safe delivery of all scheduled or  
4 desired wholesale electricity transfers simultaneously.  
5 The terming or the phrasing of "all transfers" is  
6 inclusive of firm and non-firm schedules. Overall, we  
7 feel the evaluation and identification of congestion  
8 should only be based on firm schedules.

9           Three elements used as the congestion metrics  
10 in the 2009 study were transmission reservations, the  
11 subscription of a flowgate or interface. Transmission  
12 schedules, the schedules that are actually implemented  
13 to have energy flow, and I believe in that category LMP  
14 is also included. I do not have comment on LMP as we  
15 don't calculate LMP.

16           And then finally, the third element or the  
17 third metric used is in real-time operations. The  
18 metric we use with respect to reservations was a  
19 determination of congestion was made when AFC or ATC is  
20 zero. We say that the zero interface or capacity on a  
21 flowgate or an interface doesn't recognize scheduled  
22 flows. I can have a fully, subscribed flowgate or  
23 interface, that is the available capability is 0  
24 without 1 megawatt flowing in a schedule. It was

1 unclear to us how the tiering of transmission  
2 reservations is recognized in evaluating congestion.  
3 In other words, when you say that ATC is zero, what  
4 does that actually mean? I can have an ATC of zero  
5 with respect to weekly non-firm but I may have  
6 remaining capacity left on that interface or flowgate  
7 in a higher tiered transmission product. And I'd just  
8 say that of the three congestion metrics used in the  
9 past studies, we feel this one is the least telling as  
10 it describes very little with respect to transmission  
11 congestion.

12           The second metric used termed it transmission  
13 schedules. It evaluates utilization of a flowgate or  
14 an interface, utilizes a flow duration curve approach.  
15 That is, the accumulated flow on a flowgate over time.  
16 Again, we feel that the study should only examine firm  
17 usage utilization when identifying congestion. We  
18 encourage the continued use and refinement of this  
19 metric.

20           And then finally, the third metric in real-  
21 time operations. This deals primarily with  
22 transmission load and relief procedures. TLR  
23 procedures recognize the frequency and duration of a  
24 TLR event. It identifies the magnitude of the TLR in

1 megawatts curtailed, it can be converted to curtailed  
2 energy to better define impact of curtailment. It  
3 stratifies the priority level of the curtailment. We  
4 also encourage the continued use of this metric and  
5 urge that it be used in conjunction with TLR levels 5  
6 and 6, which are the firm's scheduled curtailments.

7           Additional points to consider with respect to  
8 the identification of congestion is when a flowgate or  
9 interface is operating at its maximum allowable  
10 capacity or limit. Is this actually congestion or is  
11 it the facility performing as it was designed?

12           Another point is for a flowgate or interface  
13 that is fully utilized. There are planning processes  
14 in place that yield impact studies and facility studies  
15 that allow for moving beyond the limits.

16           And lastly, we can only identify congestion  
17 when we can properly define it. Congestion can only be  
18 properly defined once the expectations of the power  
19 grid are known and fully understood. The metrics based  
20 on schedules and utilization and real-time operations  
21 are a step in the right direction. In our opinion,  
22 these metrics become less defining when they consider  
23 non-firm energy flows and the identification of  
24 congestion.

1           Moving on to the questions 3 and 4. They ask,  
2 is there current or conditional congestion in our area  
3 or region today? And 4, ask if current or conditionals  
4 exist in your area? What are its consequences in terms  
5 of liability?

6           And our answer to the current is no. Southern  
7 is currently experiencing no areas of congestion within  
8 its footprint. The 2009 study stated that the  
9 Southeast, or SERC, region has a unique philosophy with  
10 respect to electric system planning and construction,  
11 in that the transmission system within SERC has been  
12 planned, designed, and has operated such that utilities  
13 generating resources with firm contracts to serve the  
14 load are not constrained.

15           Southern continues to integrate its  
16 transmission planning with its integrated resource  
17 plans, so that least cost planning can be performed  
18 using the total cost of a particular resource.

19           There does exist real future risk of  
20 congestion or worse within our system, due to the given  
21 compliance deadlines for the recently proposed EPA  
22 regulations. It's our position that the deadline of  
23 three years is much too tight and that a compliance  
24 deadline of at least six years is needed for industry

1 to meet the requirements of regulations as proposed.

2           A little background on our company. Southern  
3 Company's public utilities subsidiaries operate a  
4 vertically-integrated and closely coordinated system of  
5 generation, transmissions, and distribution assets,  
6 reliably serving 4.4 million customers throughout a  
7 120,000 square mile territory in Alabama, Florida,  
8 Georgia, and Mississippi. We own and operate a diverse  
9 generation fleet comprising approximately 47,000  
10 megawatts of generating capacity and a robust  
11 transmission with over 27,000 miles of transmission  
12 lines.

13           Southern Company has over 20,000 megawatts of  
14 coal-fired generating capacity; 12,000 megawatts of  
15 this capacity is in large, efficient coal units that  
16 have been equipped with state-of-the-art environmental  
17 controls at a cost of about \$8.5 billion.

18           Because of the uncertainty in the final rules,  
19 we do not know today which, if any, of these units will  
20 be permitted to operate in 2015. Based on the outcome  
21 of our preliminary engineering work, it is not likely  
22 that a single additional unit of these 12,000 megawatts  
23 can be equipped with a new bag house by the January 1,  
24 2015, deadline. It will take at least six years to

1 complete the work expected.

2           For the remaining 8,000 megawatts of coal-  
3 fired generation, our assessment of the proposed  
4 utility MACT rule, along with other expected  
5 rulemakings due in the near future, indicates that  
6 about 4,000 megawatts would be retired. The majority  
7 of the remaining units would be converted to natural  
8 gas.

9           The impact on Southern Company and to industry  
10 of this three-year compliance deadline creates a risk  
11 to the reliability of the power grid. These proposed  
12 rules will require a significant change in terms of  
13 operation, construction, and cost on about 80 percent  
14 of all coal capacity Southern Company currently  
15 operates.

16           We project a need for 60 percent more craft  
17 labor than the maximum Southern Company has ever  
18 employed in its history. This explosive demand  
19 increase in labor, equipment, and materials will create  
20 delays and cost increases that have not been accounted  
21 for. Our estimate is that the implementation of  
22 environmental controls will take up to six years to  
23 complete. New generation will take three to five  
24 years, transmission upgrades will take three to seven

1 years, natural gas pipeline expansions will take more  
2 than three years.

3           And its scheduling on a regional and inter-  
4 regional basis will be the most challenging the  
5 industry has ever experienced. I've provided a graphic  
6 here to show you some of what I've just explained to  
7 you as far as time element involved in compliance with  
8 these regulations. In the interest of time, I'll move  
9 on.

10           Southern has conducted a reserve margin study  
11 for our region that takes into account both retirement  
12 and unavailability of generation due to retrofits and  
13 repowering to meet proposed environmental standards.  
14 In 2015, absent any compliance extension for units that  
15 cannot be controlled by 2015, Southern Company will  
16 have negative reserve capacity and would have to use  
17 load shedding to maintain compliance with work  
18 reliability standards.

19           The following graphic shows the dramatic  
20 impact of the EPA regulations on Southern's reserve  
21 margins between 2015 and 2017. You can see that in  
22 2015 we drop into a negative reserve margin and it's  
23 not until 2018 that we get back to our target reserve  
24 margin.

1           We cannot err on the side of putting the  
2 reliability of the power system at risk. DOE should  
3 make appropriate findings and recommend that EPA invoke  
4 all available statutory authority under the Clean Air  
5 Act to protect electrical liability by providing the  
6 electric generators an extended compliance period.

7           Finally, with the last question as far as our  
8 experience with EIPC. I've just simply said that this  
9 project is a first-of-its-kind effort with  
10 participation by planning coordinators, regulators, and  
11 stakeholders from across the Eastern Interconnection.  
12 The product of the study is not a transmission plan,  
13 but rather to examine transmission options that would  
14 be needed to support generation resources resulting  
15 from public policy scenarios chosen by the EIPC  
16 stakeholder group.

17           We found the concept of rolling up models on  
18 an interregional basis, evaluating the model, and then  
19 folding that information back into the various planning  
20 coordinators' planning processes to be of value. As  
21 far as the project itself, we are at the midway point.  
22 The study will not be concluded until the end of 2012.

23           And with that, I believe that's the end of my  
24 presentation. I appreciate your attention, thank you.

1           MR. HENDERSON: I'm Mike Henderson. Thank you  
2 so much for the opportunity to speak today.

3           Slide No. 2 is the boilerplate of the New  
4 England system. We have a very tight system in New  
5 England, and so from a reliability perspective issues  
6 on one point in the system will affect the others. We  
7 do have markets and economic dispatch.

8           I would like to call your attention to having  
9 over 13,000 megawatts in new generation that have been  
10 successfully integrated through the queue process,  
11 predominantly natural gas units, which are efficient.  
12 We have built about 4.7 billion dollars in  
13 transmission, including several 345 KV projects within  
14 New England.

15          Slide No. 3 shows the load concentrations in  
16 New England, which is predominantly in the southern  
17 three states. It's mostly along the coast and the  
18 Connecticut River Valley. Again, 80 percent of our  
19 load is in the southern three states. Most of the  
20 remaining load is along the coastal regions of New  
21 Hampshire and Southern Maine. But of course, Vermont  
22 is a very important state to us. On the right side, it  
23 shows the generation development which is fairly close  
24 to the load centers.

1           Slide No. 4 shows just some of our major  
2 transmission projects. We've had a whole host of  
3 almost 400 transmission projects developed within New  
4 England. We attribute this to success in the regional  
5 planning process, our states' ability to site  
6 transmission, and then to build a needed transmission.  
7 I refer DOE to the regional system planning project  
8 list.

9           And by the way, we do model also to load  
10 levels peak or peak light load, and do all sorts of  
11 great studies, including wind, which is shown on Slide  
12 No. 5. What's shown on Slide No. 5 are some of the  
13 more likely development locations of wind in blue, but  
14 some of the others are shown in green up to a scenario  
15 that we're currently studying as part of our economic  
16 studies under 890 looking at serving up to 20 percent  
17 of New England's energy with wind.

18           You'll note that the offshore sites aren't  
19 close to our load centers. They're electrically close  
20 to the Boston area. Onshore wind is predominantly in  
21 the North. A particular issue is shown in the one in  
22 Bigelow area, where there is likelihood of wind  
23 development, and we naturally have some local  
24 transmission plans under development for integrating

1 that.

2 Slide No. 3 shows kind of the then and now.

3 And if you look at the capacity of the New England

4 system, I'd pull your attention to the natural gas

5 capacity shown on the bottom, growing from some 18

6 percent over 40 percent in the year 2010. And oil

7 capacity dropped some from 34 percent to 21 percent.

8 But if you look at the energy production in 2000, oil

9 produced 22 percent of the electric energy in New

10 England and less than half a percent in 2010.

11 These oil units aren't running. Many of them

12 are old, as are several of our coal units. These also

13 tend to be some of our higher emitting units, and so

14 there are some environmental challenges that those

15 units will likely be facing.

16 Slide No. 7. We've had a fairly robust

17 regional response, that Commissioner Volz referred to.

18 We've been working with our stakeholders to address

19 issues. There are interactions, certainly, between the

20 natural gas system and the electric system. In fact,

21 we're doing some physical studies looking at some of

22 those potential reliability issues. They will be

23 rolling some of that out, actually, next week before a

24 planning advisory committee. There's the issue of

1 potential retirements, integration of variable  
2 resources, and trying to better align planning with  
3 markets and operations.

4           So specifically, as far as the Department of  
5 Energy questions that were posed. Congestion is  
6 virtually nonexistent in New England, as shown in the  
7 boilerplate. We have less than \$37 million worth of  
8 congestion out of a market that's over \$9 billion. We  
9 have a fairly robust planning process and are meeting  
10 upcoming challenges as part of this strategic planning  
11 initiative. We've also done a number of studies and  
12 are continuing to do studies looking at renewable  
13 integration, and in fact for those renewables that we  
14 think are the most likely we do not believe we're going  
15 to be suffering any sort of major congestion. They're  
16 certainly in the short-term through maybe 2016/2017  
17 timeframe.

18           So, what are some of the factors that we  
19 believe DOE should consider? Certainly NERC planning  
20 reliability requirements. We've had some discussions  
21 on differences between economic congestion and  
22 reliability congestion, which could be non-compliance,  
23 basically, with the standards. Historical congestion,  
24 we believe, is important. In New England, we do

1 publicly post by the 20th of the following month all  
2 sorts of information provided by our customers, and you  
3 can find certainly zonal LMPs and a lot of other  
4 information.

5           The robustness of the planning process' proven  
6 ability to build facilities, and the region's ability  
7 to anticipate and address changes. Conditional  
8 congestion due to potential renewable development,  
9 again, we don't have any evidence of congestion today.  
10 Most of the resource development has been close to the  
11 load. We believe that many of those units that  
12 potentially could retire will likely be repowered or  
13 rebuilt using natural gas as a fuel of choice. And,  
14 why not? You know, it's low-emitting, the cost is  
15 fairly low, and as long as we can deal with the number  
16 of reliability issues, I think we can overcome that as  
17 a region.

18           Successful development of transmission. And  
19 certainly, the development of queue wind resources, as  
20 I mentioned, would have little congestion except in  
21 some small areas and we're trying to address those in  
22 our system. By the way, the NERC study, the LTRA says  
23 that basically congestion in New England is nonexistent  
24 as well.

1           So we believe as a region, on Slide No. 9,  
2 we're ready to meet future conditional congestion  
3 situations. We did a full-blown wind integration study  
4 looking at a number of scenarios that address many of  
5 the operating issues, and we're continuing on with  
6 these economic scenarios so that policymakers can  
7 basically help establish where they would like to see  
8 renewable development in New England. There are a  
9 number of merchant projects in the interconnection  
10 queue, and we stand ready to certainly comply with  
11 Order 1000.

12           A point that I would like to make in terms of  
13 renewables and so on is that New England is very  
14 closely integrated not only with our good neighbors  
15 from my home country Brooklyn to the west, but also  
16 with our Canadian neighbors to the north. And so, we  
17 have a number of interconnections with the Canadians  
18 who also have tremendous potential for renewable  
19 development. There are some merchant transmission  
20 projects and other ideas that are being teed up.

21           Data sources. I was very happy to hear many  
22 of David Meyer's opening remarks. We believe that the  
23 data should be publicly available and that would  
24 facilitate the DOE data gathering process. We got a

1 lot of information that's available for you and we're  
2 happy to help you walk through the maze of our website  
3 and provide other information that you can use. We've  
4 got NERC and other public sources of information  
5 available. And EIPC, again, I think provides useful  
6 scenario information. But it's not a plan in the sense  
7 of authorizing construction.

8           Slide No. 10, so kind of coming to the summary  
9 here. We coordinate planning activities among the six  
10 New England states. And again, please don't forget our  
11 neighbors in any study that is conducted. And through  
12 FERC Order 1000, we're already holding a number of  
13 stakeholder meetings to comply with the new  
14 requirements, such as public policy planning and of  
15 course cost allocation provisions and interregional  
16 planning where we actually have a fairly robust  
17 interregional planning in the Northeast. My compadres  
18 here, John and Chuck and I chair a group, and we have  
19 joint stakeholder meetings to do interregional  
20 planning.

21           Closer to home, the New England Regional  
22 System Plan summarizes many of the challenges in  
23 maintaining a reliable and efficient operation of our  
24 system and again, that does include interregional

1 aspects as well. But we are moving forward to meet  
2 many of the emerging issues.

3 A very important issue for us is energy  
4 efficiency development. We have begun doing an energy  
5 efficiency forecast now, so if you looked at gross load  
6 forecast and subtract off the energy efficiency, it's  
7 going to be pretty substantial, maybe accounting for 50  
8 percent of our future load growth as we go forward. So  
9 that's a process we're in the middle of now.

10 So, I want to thank you for your time and  
11 attention, and will gladly field questions later.

12 MR. LIEBOLD: Thank you, David Meyer and DOE,  
13 for providing PJM with the opportunity to come and  
14 provide some information. And we are supportive of  
15 DOE's efforts to enhance interregional planning, and we  
16 are supportive of the efforts to achieve the  
17 realization of needed transmission improvements.

18 First, I'm not so kind as my New York friend  
19 to spare you the obligatory PJM background slide. But  
20 I will minimize it and say, with recent integration  
21 efforts in PJM with the anticipated integration of the  
22 Duke Energy, Ohio, and Kentucky companies, and with the  
23 American transmission system integration this past  
24 June, we are somewhere around 162,000 megawatts of load

1 and approximately 185 gigawatts of generation.

2           If you look at the map, that little blob does  
3 experience significant historical and ongoing  
4 congestion, as I think others have reiterated. The  
5 west-to-east pattern in PJM of the flows and of the  
6 congestion is well-known and goes back to ancient  
7 history, practically, of our markets. And that  
8 congestion is experienced primarily from the Eastern  
9 Ohio area to the east, and it's caused, however, by  
10 transmission limitations that are in that area, as well  
11 as to the west of that area.

12           We're experiencing some new type of congestion  
13 relatively recently in the western regions around  
14 Illinois, particularly, because of wind development.  
15 And that has manifested itself particularly in off-peak  
16 hours. So, that is making the planning chores more  
17 complex in that it used to be relatively routine, that  
18 we could just pay attention to the on-peak scenarios.  
19 But PJM has recently established and has approved and  
20 is recommending transmission for needed upgrades due to  
21 a light load criteria now that looks at approximately a  
22 50 percent peak load. And at this point, it's heavily  
23 influenced by renewable integration, and we ratchet  
24 those renewables to a high level in those scenarios in

1 order to get a different off-peak view of congestion.

2           This is, you've seen it in some of the other  
3 slides that preceded me, a view of the historical  
4 congestion that PJM has experienced. It's probably  
5 good to emphasize, you know, just what is this  
6 congestion, what does it represent? Well, it actually  
7 represents the byproduct of our reliable operation of  
8 the transmission system. It's not our goal to  
9 eliminate congestion, and I'm not implying that these  
10 are the optimal levels or these are the levels that we  
11 target or shoot for, okay? But I am saying that, you  
12 know, congestion is the byproduct of the re-dispatch of  
13 the system in order to, you know, take care of  
14 transmission limitations and prevent them from being  
15 reliability problems.

16           If you look at the historical patterns, you  
17 can see that, you know, we have consistently  
18 experienced \$1 billion to \$2 billion in congestion. It  
19 did diminish in 2009, and that was primarily an effect  
20 of the economic consequences. So, you can see from  
21 this graphic also the volatility of congestion. It's  
22 not only volatile due to the economy, but loads are,  
23 you know, an extremely big weather sensitive loads are  
24 an extremely big impact on the volatility, as well as

1 something that is often overlooked. In real-time, we  
2 have actual things that happen on our system. Actual  
3 generators that will outage, actual lines that will  
4 outage or be taken out on maintenance, so there are  
5 significant localized effects of congestion, also.

6           So, to drill down a little bit more on the  
7 2010 congestion, you can see that there was a very  
8 large increase recently in 2010, however, that is due  
9 to the volatility effect that I was talking about, the  
10 recovery from that 2009 economic downturn that was  
11 relatively persistent. And we are recovering from that  
12 and we do expect that we will recover from that and I  
13 think the point, one valuable takeaway there is that  
14 you can't look at any of the historical congestion  
15 numbers in isolation, but you have to look at them in  
16 the aggregate and understand what that volatility  
17 means.

18           A significant portion of the PJM congestion is  
19 interface congestion, and that is representative of  
20 those west-to-east congestion patterns, as well as some  
21 specific lines and specific transformers that are  
22 reflective of a little bit what you've heard about  
23 today about how congestion can be manifest on a more  
24 granular level as well, which is certainly the case,

1 and PJM is lucky enough to have manifestations of all  
2 those types of congestion.

3           Again, a little bit more on 2010. You can see  
4 that the top 20 congestion events represent 76 percent  
5 of PJM's total congestion. New York had a similar  
6 slide. They had relatively fewer top congestion  
7 elements on their list, but they show the same type of  
8 message -- where there are very specific congested  
9 elements. I would say that in markets like PJM, we  
10 manage that congestion through LMP, and LMP makes  
11 congestion manifest to all of the loads downstream of a  
12 particular congested element. So particularly, our  
13 west-to-east pattern of flows affects prices for loads  
14 and generators in the entire MAC region. So, that even  
15 granular and localized congestion can have widespread  
16 and broad effects, also.

17           And PJM is paying ongoing attention to RTEP  
18 upgrades, evaluations of reliability and congestion.  
19 And so, the historical patterns that you see, you could  
20 think of them as, well, yes, there's a persistent level  
21 of congestion but we are working hard to maintain that,  
22 to evaluate it, and to mitigate it. And it's required  
23 that we continue that effort. That's not something  
24 that we can rest on our laurels about. We have to

1 continue to evaluate the congestion and continue to  
2 make transmission upgrades, as well as incorporate the  
3 other market solutions to that congestion in order to  
4 maintain a reasonable managed congestion level.

5           These are some very specific constraints that  
6 you are on our congestion list. These represent more  
7 than 60 percent, these top 10, more than 60 percent of  
8 the 2010 congestion. You can see several of the very  
9 top ones are PJM interfaces. And again, particularly  
10 those interfaces affect regions that you've heard about  
11 in Southwest MAC, the D.C. Area, the Maryland area, as  
12 well as the entire Eastern MAC area of Eastern  
13 Pennsylvania and New Jersey. So these particular  
14 limits can have very widespread effects. So, PJM is  
15 still in that Mid-Atlantic corridor, remains a heavily  
16 congested area that requires continuing attention.

17           I also point out that some of these are  
18 reactive limits, so it's not a simple thermal issue  
19 that causes these. And, reactive limits are of an  
20 interesting nature because, and we pay a lot of  
21 attention to our reactive limits. We have many  
22 reactive upgrades planned on our system, but reactive  
23 upgrades are very localized in their effects. So  
24 you'll take care of one, you'll put an SVC in one area

1 and it'll fix those voltage problems, and you redo the  
2 studies and you find, well the voltage problems moved  
3 just, you know, 50 miles away. And so you haven't  
4 fixed your limit that much. So, reactive problems are  
5 interesting, they're challenging, and you know, they're  
6 something that you have to pay attention to.

7           This is a map of what our major RTEP upgrades  
8 are and the status of those currently approved  
9 upgrades. You heard a lot about the TrAIL line from  
10 the 502 junction. It's that line going from 502  
11 junction to Loudon, that you see on there. It's one  
12 thing that I would say when I re-read the 2009 DOE  
13 study, that it sounded a little pessimistic about we're  
14 never going to get any transmission in to solve all  
15 these persistent transmission problems. But this line  
16 is in excess of 200 miles, 500 KV, crosses 3 states,  
17 and from the board approval to in service it was a  
18 little over 4 years. That's the poster child, maybe,  
19 for how everything can go right. I'd like to say that  
20 everything doesn't always go right. There are very  
21 significant challenges to, you know, achieving some of  
22 the planned transmission lines shown on this map that  
23 have not been put in service yet, and so we are  
24 continually, you know, looking at ways that we can

1 facilitate, you know, the needed transmission upgrades  
2 that are specified in our plan.

3           So, this is specifics about the lines on that  
4 map. The TrAIL line is in service, the Carson-Suffolk  
5 line is in service, Susquehanna-Roseland is one of our  
6 current significant challenges to get that in service  
7 to address the reliability needs in Eastern  
8 Pennsylvania and Northern New Jersey. And as most are  
9 probably aware, that recent economic downturn that, you  
10 know, has caused the PATH line and the MAP line to be  
11 put in abeyance at this point.

12           So, this slide goes to very recent congestion  
13 patterns, and I like this slide because while  
14 congestion persists it does show that there is benefit  
15 to the recent transmission upgrades, particularly the  
16 TrAIL line and the Carson-Suffolk line that have been  
17 put in service, along with a myriad of other, smaller  
18 upgrades that you can't see that targeted smaller types  
19 of transmission issues. But you can see, there are,  
20 even though you heard some recount of the extremely  
21 high loads in the PJM region this past year, it was  
22 record energy consumption levels in PJM. And I believe  
23 we set some record peaks, including the integration of  
24 the new areas that we had, also. But we do see some

1 significant decreases in congestion, you know, compared  
2 to previous levels.

3           And our projections of the types of congestion  
4 issues that we might see, you can see this slides  
5 covers projected transmission elements with at least  
6 \$20 million of projected future congestion. And it  
7 also shows that some of these are affected positively  
8 or negatively by some of the transmission RTEP upgrades  
9 planned. However, significant levels are still being  
10 projected.

11           I would add, too, that PJM has recently  
12 completed an initial phase of a renewable integration  
13 study in PJM that looked at the installation of 41  
14 gigawatts of wind in the PJM area in order to meet RPS  
15 standards for the PJM area. And that showed a  
16 significant amount of conditional congestion, we'll  
17 call it, that could arise if the PJM entities satisfy  
18 their RPS requirements by integrating all that wind  
19 into the PJM region.

20           So, we would say that we probably have some  
21 regional conditional congestion, with the provision  
22 that there's a little bit of an inference, I think, in  
23 the DOE definition that makes it sound like, well, we  
24 have conditional congestion and we have no way to

1 handle it. We don't know what we're going to do. But,  
2 you know, we think that we can adequately anticipate  
3 with our current processes this conditional congestion  
4 and that we can put transmission upgrades or come up  
5 with other market solutions that are integrated into  
6 our planning processes in order to satisfy the needs of  
7 transmission out into the future to handle even these  
8 wind integration issues.

9           So, to wrap it up, PJM does experience  
10 significance west-to-east congestion patterns and  
11 congestion into our load centers, our load pockets.  
12 Some of the studies you heard referred to earlier about  
13 RPM type of analyses are analyses of the PJM load  
14 pockets, and so those are manifestations of congestion  
15 also.

16           I would mention that, I'd urge DOE to  
17 understand the difference between energy type of  
18 congestion and the congestion that we show in, you  
19 know, RPM type of analyses, which are indicative of  
20 capacity locational capacity congestion. And the  
21 purpose of the RPM studies is to create that locational  
22 price that drives an incentive for generation to locate  
23 in a particular area. It's only one of the  
24 considerations, however, I think as we've found, that

1 causes generation to actually locate in a particular  
2 area. So, it's an important element and I'm not the  
3 best one to speak to the details of the RPM, but PJM  
4 has lots of evidence that RPM is working and does  
5 provide lots of generation retainment and generation  
6 installations that are a benefit to our system.

7           The Mid-Atlantic corridor is still a very  
8 congested area in PJM, as you've heard about today, and  
9 congestion management through the LMP markets  
10 distributes congestion very broadly to many of the  
11 loads in PJM. And so, there are granular  
12 manifestations of congestion, and it also has very  
13 broad impacts to prices to loads and generators.

14           PJM continues to monitor and evaluate the  
15 congestion issues, and it is an ongoing challenge to  
16 plan the transmission system and all the market  
17 solutions, you know, in unison and to achieve the  
18 installation of the transmission elements that we need  
19 to manage congestion in an ongoing fashion.

20           That pretty much wraps it up. Thank you.

21           MR. MEYER: All those presentations are an  
22 example of drinking from a fire hose. A lot of  
23 material there. Thank you very much.

24           I want to ask one brief question, and then

1 we'll turn to questions from others. So far as I  
2 recall, none of you mentioned future gas prices and yet  
3 clearly the system and some of the changes that you  
4 mentioned are going to be very much affected by gas  
5 prices. So, a brief comment on that, what your  
6 expectations are there.

7 MR. BUECHLER: I'll take it first, David. I  
8 think I did mention that one of the principle reasons  
9 for the decline in congestion over the past couple  
10 years of gas prices, and at least our view, that one of  
11 the factors influencing congestion going forward will  
12 be the increased gas production leading to a relatively  
13 stable and lower price of natural gas. So, that's our  
14 view.

15 MR. HENDERSON: New England is currently very  
16 heavily dependent on natural gas: It comprises over 40  
17 percent of our electric energy production and over 40  
18 percent of our capacity as well. However, we do  
19 believe that with Marcellus Shale and other gas  
20 pipeline and LMG improvements that have occurred both  
21 recently and planned improvements in the natural gas  
22 system, that the prices will remain low for us as a  
23 region.

24 We are concerned with that heavy dependency.

1 And so as part of the strategic planning initiative  
2 we're looking at ways to try to deal with it, both from  
3 the gas system reliability perspective, but also in  
4 terms of aligning the markets to what degree do we want  
5 to, in some way, encourage and pay for, let's say, dual  
6 fuel capability or some other potential solutions?

7           There's also a lot of renewable development  
8 planned in New England. I did mention solar. The  
9 state of Massachusetts has some solar goals which are  
10 closer, as does Connecticut and the other states as  
11 part of their renewable encouragement policies  
12 developing close to load, as is the energy efficiency  
13 in the region that I made reference to.

14           So I think certainly there is some exposure  
15 there, but it's an issue we're aware of and trying to  
16 deal with.

17           MR. LIEBOLD: Traditionally, historically gas  
18 is not a big driver in PJM. However, times are  
19 changing. You've heard about the Marcellus Shale, so  
20 there is a potential for gas to be a much, you know,  
21 higher penetration into the PJM energy production than  
22 in the past.

23           Taken in isolation, it's very much like what's  
24 the impact to the EPA rules and the comments that were

1 made there. It all depends. It's not so much the  
2 change in gas prices or the change in EPA rules, but  
3 it's what else happens after that, you know? And how  
4 do the markets respond, you know, to those types of  
5 fluctuations. So, you know, taken in isolation lower  
6 gas prices could decrease congestion. But then, if  
7 lots of new gas plants pop up in areas that are already  
8 congested, and coal doesn't retire in droves, then you  
9 could increase congestion.

10           So you know, it really does depend on what the  
11 market's response is to those types of variables.

12           MR. BUSBIN: Jim Busbin, Southern Company. I  
13 don't have our data in front of us, but we do expect  
14 gas prices to remain low. As I mentioned in my  
15 presentation, our concern is more so with the gas line  
16 capacity, the expansion of the gas pipeline system, and  
17 getting that to generation resources.

18           MR. BRADISH: I guess I'll just echo a couple  
19 things. Certainly prices are important. Probably  
20 equally if not more important are the price spreads  
21 between the different fuel options and of course, the  
22 geographic locations of those different fuel options.  
23 So, you have wind resources in one part of the region,  
24 that's difficult to transport wind, so you will build

1 it there and you'll need to transport it. So it'll  
2 really be driven by the thoughts on those price spreads  
3 more than anything.

4 MS. SILVERSTEIN: I'm Alison Silverstein. I  
5 have two questions. One of them is for Chuck Liebold  
6 and the other is for all of you.

7 Mr. Liebold, I want to pursue an interesting  
8 turn of phrase that you used in one of your slides.  
9 You said that the top 20 congestion events account for  
10 76 percent of PJM congestion, and I want to ask is this  
11 about events or is this about elements?

12 MR. LIEBOLD: It's about elements.

13 MS. SILVERSTEIN: Okay, so events is not like,  
14 we had 10 really hot days and those were when most of  
15 the congestion happened? It was about these particular  
16 substations and spots on the grid.

17 MR. LIEBOLD: Yes.

18 MS. SILVERSTEIN: Great, thank you. If it  
19 were Texas it would be the other way around, which was  
20 why this was an important point to understand. Thank  
21 you.

22 For all of you, we know that DOE doesn't want  
23 to look too far into the future or at too many  
24 conditionality with respect to congestion, but

1 surprises happen and they happen quickly. And let me  
2 ask you if the economy were to get better and we were  
3 to have significantly hot days in your service  
4 territory next summer. If both of those things  
5 happened, your loads would increase markedly, I would  
6 guess. In that case, would you expect to see  
7 significantly higher transmission congestion? That  
8 certainly it would likely affect price but could it  
9 compromise reliability in some way?

10 MR. LIEBOLD: I did point out that we did have  
11 in 2011 just this past summer, you know, one of the  
12 hottest summers on record for PJM and congestion  
13 actually went down a little. However, that was because  
14 of other influences. In general, yes, hotter weather,  
15 all other things being equal, will cause congestion to  
16 be, you know, a very significant issue and probably a  
17 challenge.

18 MR. BRADISH: I'll just say, it's an  
19 interesting question because intuitively you think, the  
20 load goes up, congestion goes up. But it really  
21 depends on the geographic reach of the heat. We've had  
22 days where the Eastern part of PJM is burning up and  
23 we're cool in the West and the congestion is through  
24 the roof because we've got lots of supply and they all

1 want it in the East. There's other days when the  
2 entire footprint of PJM is hot and you don't see the  
3 congestion. So it really, again, is going to be driven  
4 by those types of differences, demand differences  
5 across the grid and the resources available to the  
6 suppliers.

7 MR. BEUCHLER: We'll go back and forth to the  
8 tables here.

9 Yeah, I guess I would agree with both the  
10 comments that high load periods are not necessarily  
11 periods of highest congestion. In New York, for  
12 example, if you have high loads for whatever reason,  
13 weather could be the primary cause, in the northern  
14 part as well as southern part, well, then the  
15 generation that's in the north that would otherwise  
16 tend to want to go southeast would be used more in the  
17 north and you have less congestion. In those, of  
18 course they don't, so.

19 MR. BUSBIN: Alison, I'll take your question  
20 even further, I believe, because the scenario that you  
21 paint as we move down the road a few years and get  
22 into, as I mentioned in my presentation, the EPA  
23 compliance period, you couple with what you're talking  
24 about as far as changes in the economy that cause

1 increase in loading coupled with the massive outages  
2 that we're going to see that are going to be required  
3 in retrofitting units and getting into compliance with  
4 those EPA regs, yes, reliability will be affected.

5 MS. SILVERSTEIN: Is there anything left to  
6 say on this, Mike? I bet you could come up with  
7 something.

8 MR. HENDERSON: I agree. (Laughter)

9 MS. SILVERSTEIN: Thank you, all those are  
10 very helpful.

11 MR. HENDERSON: We don't see the economy  
12 really affecting New England.

13 MR. MEYER: A little, do you have a comment  
14 you want to offer?

15 Mr. ROSEMAN: It was a question for the panel.

16 MR. MEYER: Okay, please, then. Go ahead.

17 SPEAKER: Actually, it's not unrelated to the  
18 question that Alison just put forward. The general  
19 question is, what do you think that the term of the  
20 study that DOE is about to engage in should be? All of  
21 you mentioned events that are coming up within the next  
22 couple of years. Chairman Finley in the first panel  
23 this morning said that we should be looking at places  
24 that are experiencing current, you know, present tense

1 congestion.

2           But I just made a few notes as you all were  
3 talking. Mr. Busbin talked about the EPA regulations  
4 that could hit within the next couple of years. Mr.  
5 Buechler talked about the Indian Point potential  
6 retirement. Mr. Bradish talked about the wind belt  
7 resources. Mr. Henderson talked about the energy  
8 efficiency and how much forecasting they're going to do  
9 of that and how much may come online or not within the  
10 next couple of years. Mr. Liebold talked about  
11 transmission lines, the PATH line, the TrAIL line,  
12 sorry, coming online within four years from board  
13 planning until coming to fruition.

14           What should be the timeframe under which the  
15 assessment of congestion that DOE is undertaking now?  
16 What should that timeframe be? Should it just be  
17 between now and when the next study will be in three  
18 years or how far out? Should it just look at planned,  
19 should it just look at committed resources? Or can you  
20 go further than something that is already committed to?

21           MR. BUECHLER: I'll try that. I think as  
22 several of the panelists have mentioned, recommending  
23 that the DOE look at existing regional plans and other  
24 data and analyses that are available, that would tend

1 to something like a 5 to 10 year timeframe. So, I  
2 believe it's reasonable to look at a nearer-in  
3 timeframe at least, because of all the obvious, the  
4 lesser, at least, degree of uncertainty in that  
5 timeframe.

6 MR. LIEBOLD: I would say that the valuable  
7 timeframe is that timeframe in which we engage in what  
8 I'll call actionable planning: The planning that is  
9 pursuant to, you know, the criteria that we have laid  
10 down that results in projected, you know, needs for  
11 resources in the relatively near term. So I would say  
12 that that is also five to ten years. And it should  
13 include the resources that we've identified that have a  
14 relatively higher commercial probability of coming to  
15 fruition.

16 I think the very long-range studies are good.  
17 I think that they perform a role also, like the EIPC  
18 study. I draw the analogy with the EIPC study to, it's  
19 like a Detroit concept car, whereas, you know, you'll  
20 never see it built perhaps, right? But there are lots  
21 of elements in those cars. There are lots of elements  
22 and we learn lots of things from the very long-range  
23 studies that we can bring to, you know, anticipate and  
24 perhaps see and incorporate into our actionable plans.

1           And in order to have a good plan you need to  
2 have some range of ideas of where you might be going in  
3 the future. So, I wouldn't be so negative about the  
4 EIPC study. However in terms of this DOE congestion  
5 work, it's probably of lower significance.

6           MR. BRADISH: Yeah, as a transmission planner  
7 I'm right there with the two previous speakers. You  
8 can't do anything less than 5 years in this  
9 transmission world, so 5 to 10 years would be good.  
10 And you know, the other things that are happening are  
11 going to be happening within that timeframe in  
12 addition. So I think that's within, as Chuck used the  
13 term, actionable timeframe where you might be able to  
14 actually get something done.

15           MR. BUSBIN: Jim Busbin, Southern Company.  
16 And lastly, I'll take the easy answer here and say yes,  
17 I agree with the 5 to 10 year period.

18           MR. HENDERSON: I agree with John. I think if  
19 we got to go back to what is the real purpose of the  
20 study that David reminded us of in the beginning of  
21 today's meeting. And what I heard is that the focus  
22 would be, I guess, to provide a study that could then  
23 be used for the identification of national corridors.  
24 So for that end, no? Am I saying that wrong? It could

1 inform.

2 MR. MEYER: Yes, but it, I've always  
3 understood the Act to say, DOE, you will do these  
4 studies. And we want to do them in a way that provides  
5 useful information to people who are interested in  
6 transmission issues.

7 The further step to national corridors, that  
8 comes later. But I wouldn't limit the congestion  
9 studies to simply providing a possible basis for  
10 corridors.

11 MR. HENDERSON: But to that point and  
12 informing that point, what I would suggest is a focus  
13 on historical or as found congestion on the particular  
14 systems, and then looking at the robustness of the  
15 particular transmission plans that are in place, and  
16 then the historical success of being able to implement  
17 those particular plans.

18 And so, I think that speaks more to a closer  
19 in focus, perhaps something in the five-year range or  
20 maybe even closer in as a primary focus. The longer  
21 term you look, the more kind of speculative the plans  
22 become and I think it's certainly more definitive in  
23 that shorter timeframe.

24 MS. JONES: I'll be quick because I know we're

1 running out of time. The gentleman from Southern and  
2 the gentleman from AEP, I want to know if you agree or  
3 disagree with each other around this point. Southern  
4 seemed to be saying congestion is around firm  
5 transmission. AEP seemed to be saying, well that wind  
6 which is not firm should count as congestion.

7 So, do you agree with each other or disagree?

8 MR. BUSBIN: Go ahead. (Laughter)

9 MR. BRADISH: Well, we do operate in two very  
10 different contexts. We are fully engaged in an RTO and  
11 Southern, as Jim said, is not in an RTO. So whether we  
12 like it or not, whether we call it firm or not firm,  
13 those distinctions have much less meaning in an RTO  
14 world than they do in Jim's world. He's not living in  
15 RTO, he's living in transmission, you know, physical  
16 transmission rights. I'm living in PJM, which is all  
17 about financial.

18 So, the two contexts are very different. So  
19 within PJM it's all treated the same. So my point is,  
20 if that stuff is going to flow and it's going to create  
21 congestion and it's economical to build a transmission  
22 solution to relieve that congestion, you should do  
23 that.

24 So, it's a completely different context which

1 we operate in. So, Jim?

2 MR. BUSBIN: Yeah, we feel that non firm flows  
3 are I guess speculative in nature. And so, therefore,  
4 should not be concluded in the determination of  
5 congestion.

6 MR. BRADISH: I don't know if that helps you  
7 or not.

8 MS. McNALLY: I have a question. I'm Diana  
9 McNally from Con Edison, and in general we're looking  
10 forward to seeing a study that involves a lot of  
11 analysis of data and facts. And just a question for  
12 the panel is, how does each of the regions go about  
13 forecasting future congestion and how far out can they  
14 make that forecast?

15 Thanks.

16 MR. BUECHLER: I'm from New York, as you  
17 probably know. As part of our economic planning  
18 process we look at a 10-year horizon, the same as the  
19 10-year horizon we used for our reliability planning  
20 process. So when we do the forecast part of congestion  
21 we then combine with the 5-year historical congestion  
22 to determine the 3 highest congested elements, it's 10  
23 years forward.

24 MR. BUSBIN: Jim Busbin from Southern Company.

1 To answer that, it's been a long time since I've been a  
2 transmission planner but we engage in regional planning  
3 processes whereby we look at a combined model to make  
4 those determinations and go out, those go out typically  
5 10 years.

6 MR. HENDERSON: I don't know that New England  
7 would really call it a congestion forecast because we  
8 don't really forecast future bidding behavior and all  
9 that. However, what we do is we do a number of  
10 scenarios called economic studies consistent with Order  
11 890. To date, those studies have looked out 10 years  
12 but we've done some special studies that actually  
13 simulated the year 2030. Those studies were conducted  
14 at the request of the six New England governors and we  
15 did some follow-up studies as well to inform the  
16 policymakers in our region of what some of the long-  
17 term visions of New England might look like and to help  
18 them then try to get to the future that they feel would  
19 be the most desirable for the region.

20 MR. LIEBOLD: PJM does a variety of studies.  
21 We do internal PJM market efficiency analysis pursuant  
22 to a bright line market efficiency criteria. Those  
23 studies evaluate, I believe it's four snapshot market  
24 efficiency evaluations, annual evaluations projected

1 out into the future, and then do a cost benefit ration  
2 analysis over a 15 year time horizon. So, I'd say 15  
3 years is our internal planning.

4 We do additional types of market efficiency  
5 studies interregional where we look at cross border, we  
6 do interregional studies where we look at cross border  
7 (Interruption)

8 MR. LIEBOLD: Hello? Oh, this one works.  
9 Time is up, I guess. (Laughter)

10 So, we also look at interregional studies,  
11 particularly with the Midwest ISO, but we also do, we  
12 are beginning to get into more types of congestion  
13 analysis with our New England friends also. However,  
14 the cross border congested flowgate study that we do  
15 with MISO on a periodic basis evaluates, you heard it  
16 referred to earlier, there's probably 100 or, you know,  
17 certainly dozens of jointly managed flowgates between  
18 PJM and MISO. So annually, we look at what the  
19 congestion is on those jointly managed flowgates and  
20 we'll do a joint study to see if there is benefit to  
21 alleviating that market congestion that occurs on our  
22 seams.

23 Those are pursuant to, also, a bright line  
24 criteria that's a little bit different from our

1 regional criterias, and I believe that is not a  
2 specific time horizon but has to be a multi-year future  
3 time horizon that we look at for that.

4 MR. HENDERSON: I just want to, I'm sorry, I  
5 just wanted to correct something. I think I misspoke  
6 and I think I said Order 890 when I should have said  
7 Order 1000 before. So there is a record, I just want  
8 to make sure I'm saying the right thing here.

9 MR. BRADISH: The only other thing I wanted to  
10 add to this question was, keep in mind we're putting in  
11 place assets that will last 40 to 50 years. And you  
12 want to make reasonable decisions around assets that  
13 are going to be in place for 40 to 50 years, and make  
14 sure that they're used and useful during that  
15 timeframe.

16 So, you need to push the time out to do these  
17 types of studies, so you have to have a reasonable  
18 forward-looking. Yes, it's the future and we don't  
19 know what it's going to be, but you make some  
20 assumptions, you run some scenarios, and you make some  
21 decisions around those. But these are long-lived  
22 assets.

23 The only other thing I'll add, and I've got  
24 three RTOs here, is that I would love to have them all

1 synch up their processes so they all do them at the  
2 same time, that they do them over the same years, and  
3 look at the same futures. That would be awesome.

4 (Laughter)

5 MR. MEYER: Well, we're going to, I'm going to  
6 take up, I'm getting us off the hook now. Please give  
7 them a big round of applause, I think they did very  
8 well. The last stage of our workshop is an opportunity  
9 for members of the public who want to provide input or  
10 comments to do so. And I don't know if we have anyone  
11 registered?

12 (Interruption)

13 MR. MEYER: Ed Tatum do you want to -- yes,  
14 please.

15 MR. TATUM: I'm getting a little fearful of  
16 all these thing. I'm Ed Tatum with Old Dominion.  
17 Thanks so much for putting this together. Thanks, it's  
18 a lot of engaging conversation. I was sitting in the  
19 back listening and wondering if we're starting to  
20 measure the right things.

21 Again, you know, we had this metric and we've  
22 seen a lot of volatility. We live in PJM and the  
23 market world, so we do get a lot of volatility from  
24 gas, from various other aspects of the fuel supply.

1           So the question being, and Alison kind of hit  
2 on it a little bit earlier, is this concept of events.  
3 And I know in PJM every so often we do look at events  
4 of congestion. And I don't know if that might be  
5 another metric that we may wish to consider. We  
6 started off looking at the concept of total congestion  
7 and it's oh, my goodness, it's going up and down. And  
8 we have opportunities here. Now, congestion is getting  
9 better. Is that good news? No, we're in a recession.  
10 That's not good news. Congestion might go away if we  
11 lose a lot of coal fired units because of the EPA  
12 regulations. Is that a good outcome? I'm not sure it  
13 is.

14           Congestion is but one part of the overall LMP  
15 equation. We have LMP, equals, the energy, we have the  
16 congestion component, and now we have something new  
17 called marginal losses, and that's a very significant  
18 piece that we didn't have when we first started these  
19 studies going. We also had the reliability pricing  
20 model, that's a very important aspect of a congestion  
21 cost and I like what was said about the concept of the  
22 interconnection queue being a barrier to getting  
23 reliable and affordable capacity to load.

24           So the question is, are there other metrics we

1 should be using that would be historically based? How  
2 many times were the top 20, Chuck, constrained,  
3 regardless of the various price differentials between  
4 the West and the East? And should that be something  
5 we're looking at?

6 And then the other question would be, should  
7 we be looking at not just the congestion component of  
8 LMP, but the overall LMP as well? Or a relationship to  
9 the LMP and congestion component?

10 Thank you.

11 MR. MEYER: Any other commenters? Seeing  
12 none, we will declare the meeting adjourned and thank  
13 you all.

14 (Whereupon, at 12:27 p.m., the PROCEEDINGS were  
15 adjourned.)

16 \* \* \* \* \*

17 CERTIFICATE OF NOTARY PUBLIC

18 COMMONWEALTH OF VIRGINIA

19 I, Carleton J. Anderson, III, notary public in and  
20 for the Commonwealth of Virginia, do hereby certify  
21 that the forgoing PROCEEDING was duly recorded and  
22 thereafter reduced to print under my direction; that  
23 said transcript is a true record of the testimony given  
24 by witnesses; that I am neither counsel for, related

1 to, nor employed by any of the parties to the action in  
2 which this proceeding was called; and, furthermore,  
3 that I am not a relative or employee of any attorney or  
4 counsel employed by the parties hereto, nor financially  
5 or otherwise interested in the outcome of this action.

6

7 (Signature and Seal on File)

8 **Notary Public, in and for the Commonwealth of Virginia**

9 **My Commission Expires: November 30, 2012**

10 **Notary Public Number 351998**