

NATIONAL COAL COUNCIL

2007 FALL FULL COUNCIL MEETING

Hilton Washington Embassy Row
2015 Massachusetts Avenue, NW
Washington, D.C.

8:30 a.m.
Wednesday, November 14, 2007

EXECUTIVE COURT REPORTERS, INC.
(301) 565-0064

I N D E X

<u>AGENDA ITEM:</u>	<u>PAGE:</u>
Welcome and Opening Remarks	3
NCC Chair Georgia Nelson	
Remarks	7
Under Secretary of Energy Bud Albright	
Council Business	12
Presentation on Department of Defense CTL Projects	21
Roger Bezdek, President Management Information Services, Inc.	
Presentation on the Development and Commercialization of the TIPS Oxy-Fuel Process	43
Alex Fassbender, Chief Technology Officer and Executive Vice President ThermoEnergy Corporation	

P R O C E E D I N G S

(9:20 a.m.)

Welcome and Opening Remarks

MS. NELSON: Good morning, ladies and gentlemen. My name is Georgia Nelson. I'm Chair of the National Coal Council. The regular meeting of the National Coal Council is hereby called to order.

At our meeting this morning, we are fortunate to have a number of very special guests.

We're pleased to welcome this morning the Under Secretary of Energy, Bud Albright. Chairman of the White House Council on Environmental Quality Jim Connaughton, who had planned to join us will be unable to do so due to a scheduling conflict.

Also, we have the following speakers on today's agenda: Roger Bezdek, Management Information Services, Inc.; Alex Fassbender, ThermoEnergy Corporation; and David Mazyck, University of Florida.

In addition to the speakers, we must also conduct the regular business of the Council, so we have a very full agenda.

This meeting is being held in accordance with the Federal Advisory Committee Act and the regulations that govern that Act. Our meeting is open to the public, in addition to representatives of our members.

1 I would like to welcome guests from the public who
2 have joined us today. If any of the representatives of
3 our members care to offer comments during our meeting,
4 they are welcome to do so. An opportunity will be
5 provided for other guests to make comments at the end
6 of the meeting.

7 Full and complete minutes of this meeting are
8 being made as well as a verbatim transcript.
9 Therefore, it is important that you use the microphone
10 when you wish to speak and that you begin by stating
11 your name and affiliation.

12 Council members have been provided a copy of
13 the agenda for today's meeting. I would appreciate
14 having a motion for the adoption of the agenda.

15 MR. MARTIN: So moved.

16 MS. NELSON: Do we have a second?

17 MR. LONG: Second.

18 MS. NELSON: All in favor:

19 (Chorus of ayes).

20 MS. NELSON: All opposed?

21 (No response.)

22 MS. NELSON: Thank you. The Secretary has
23 reappointed most of the current members of the Council
24 for the new 2008/2009 term and has also appointed
25 several new members. I would like to ask that if any

1 of these new members are here, that they please stand
2 so that we can recognize them.

3 Mike Sutherlin, Joy Global. John Meade,
4 Southern Illinois University. Ken Wilmot, Alliant
5 Energy. Paul Feldman, Midwest ISO. Klaus Lambeck,
6 Public Utilities Commission of Ohio. Majoh Guha,
7 Professional Engineer. Dan Jack, Reschini Agency, Inc.
8 Frank Burke, Private Consultant. James Mellody,
9 FirstEnergy Solutions. Joe Hopf, PPL Energy Plus.
10 Gregory Workman, Dominion Resources, Inc. Tom
11 Linebarger, Cummins, Inc.

12 Congratulations on your appointments. We are
13 very happy to have you on board.

14 We are also pleased to welcome Jay Braitsch
15 as the designated federal official for our meeting.

16 I would now like to introduce Under Secretary
17 Bud Albright for some remarks.

18 Bud Albright was nominated by President
19 George W. Bush to serve as Under Secretary of Energy on
20 June 21st, 2007, and was unanimously confirmed by the
21 Senate on August 3rd, 2007.

22 Under Secretary Albright oversees the
23 Department of Energy's Energy and Environment Programs,
24 including its diverse portfolio of applied energy
25 research and development activities, nuclear waste

1 management efforts, and environmental clean-up of the
2 nuclear weapons complex.

3 Prior to joining the Department of Energy,
4 Mr. Albright was Republican Staff Director for the U.S.
5 House of Representatives Committee on Energy and
6 Commerce. In that role, he worked to address issues
7 facing the country's energy, environmental,
8 telecommunications and health industries. Before
9 joining the committee, Mr. Albright was Vice President
10 of Federal Affairs for Reliant Energy.

11 Mr. Albright also served as Deputy Associate
12 Attorney General at the U.S. Department of Justice, as
13 well as Deputy General Counsel of the U.S. Department
14 of Housing and Urban Development.

15 Additionally, Mr. Albright was an Associate
16 Counsel on the U.S. Senate Select Committee
17 investigating the Iran-Contra incident. From 1981
18 through 1986, he also served as an Assistant United
19 States Attorney in the Eastern District of Virginia.

20 While attending law school, Mr. Albright
21 worked on the U.S. Senate Judiciary Committee as a
22 legislative aide and personal aide to Senator Strom
23 Thurmond. He has also worked as a law clerk at a
24 private law firm.

25 A native of Rock Hill, South Carolina, Mr.

1 Albright holds an undergraduate degree in History and
2 Political Science from Presbyterian College in his home
3 state and a Juris Doctorate degree from George Mason
4 University School of Law in Virginia. Mr. Albright
5 lives in Virginia with his wife and their two children.

6 (Applause).

7 Remarks

8 HON. ALBRIGHT: Thank you, Georgia, for that
9 nice introduction, and thanks to the National Coal
10 Council for inviting me to join you this morning.

11 Let me begin by saying that the Department,
12 and Secretary Bodman, appreciates your concern
13 regarding the industry that produces the majority of
14 the electric power that keeps our country running.

15 The Secretary is looking forward to receiving
16 the NCC report he recently requested concerning
17 technology options to allow broader use of clean coal.

18 Your report will be a welcome complement to the
19 president's efforts to ensure that coal remains a key
20 component of the nation's energy mix, as we grapple
21 with the new energy reality here at home and abroad.

22 We do have a new energy reality. The facts
23 are clear. Worldwide demand has outstripped supply.
24 Over the next 25 years, global energy consumption will
25 increase by an additional 50 percent, with 70 percent

1 coming from the world's emerging economies. We have
2 changing world conditions. Infrastructure is more
3 extensive and expansive. It is more vulnerable to
4 terrorism and disruption.

5 Opportunities for exploration and production
6 are limited by an increasing trend toward resource
7 nationalism. Two-thirds of the world's oil and gas
8 reserves are in countries that substantially limit or
9 prohibit any foreign investment. Resource nationalism,
10 limited access and infrastructure constraints may limit
11 production to less than what is required.

12 Conditions must be considered in the context
13 of global climate change and the future reality of a
14 carbon-strained environment. That makes this a very
15 new energy reality. Now the question is how do we
16 address it?

17 Let me now turn to the Administration
18 efforts. We know that it takes technology and science.
19 We know that it takes a strong economy, and we know
20 that it takes investment.

21 Since 2001, the United States has invested
22 nearly \$18 billion in clean energy technology research
23 and development. The president's current budget
24 requests \$3.9 billion in funding, a 14 percent increase
25 over last year's appropriation.

1 But there is no silver bullet that will solve
2 our energy challenge. Instead, the solution requires
3 action on multiple fronts, all of which this
4 Administration is pursuing: heavy emphasis on
5 renewables and alternative fuels, Advanced Energy
6 Initiative, increased funding for basic science
7 research, American Competitiveness Initiative, enhanced
8 energy efficiency, expansion of clean, safe nuclear
9 energy, and investment in clean coal technologies.

10 The Coal Challenge. While we are rightly
11 emphasizing renewables, alternative fuels, we also must
12 recognize that our economy is, and will remain, heavily
13 dependent on fossil energy. This nation is blessed
14 with an abundant coal supply - 250 year domestic supply
15 at current consumption rates.

16 The challenge: find ways to use coal more
17 cleanly and efficiently to reduce, if not eliminate,
18 its environmental impacts.

19 The Administration is answering the
20 challenge: developing carbon sequestration capacity.
21 Last month, the DOE awarded funds for three of seven
22 large-scale carbon sequestration projects to conduct
23 tests for the storage of CO2 in deep saline reservoirs.
24 DOE and its partners plan to invest over \$300 million
25 over 10 years for these important projects.

1 Collectively, these formations have the
2 potential to store more than 100 years of CO2
3 emissions. This will help enable us to one day use
4 coal without emitting greenhouse gases into the
5 atmosphere.

6 The president's Clean Coal Power Initiative
7 is a 10-year, \$2 billion effort. It is a government-
8 industry partnership to support the development of
9 advanced new clean coal technologies on a demonstration
10 scale. In September, Secretary Bodman joined Southern
11 Company and its partners for groundbreaking of the
12 advanced IGCC facility in Orlando, Florida.

13 With regard to tax incentives, last year, DOE
14 and the Treasury provided \$1 billion in tax credits to
15 support nine advanced technology plants, with an
16 additional \$650 million scheduled for next year, with
17 top priority going to projects that include carbon
18 capture and storage.

19 There will be loan guarantees to help
20 sponsors raise the upfront capital necessary for clean
21 energy technologies, such as clean coal. Last month,
22 DOE issued final regs for the program. We can
23 anticipate up to \$13 billion to guarantee loans for
24 projects that avoid, reduce or sequester greenhouse gas
25 emissions and get critical technologies to market

1 faster.

2 And finally, let me say a few words about the
3 FutureGen Project, our effort to design and build the
4 first near-zero emissions fossil fuel plant.

5 I'm pleased to say that the EIS for the
6 project was completed last week. The DOE remains
7 committed to the goals and objectives of FutureGen.
8 However, as most in this room are aware, the heavy
9 industry sector has experienced rapid and steep cost
10 escalation in recent years. FutureGen's price tag has
11 doubled and could go higher. We are working with our
12 industry partners, the FutureGen Alliance on a path
13 forward to ensure sustainability of the project in the
14 face of rising costs.

15 I'll close today by returning to a theme from
16 the outset of my remarks. We are facing a new energy
17 reality, both at home and overseas. In past years, our
18 economy, and the world, has grown accustomed to
19 relatively inexpensive energy, whether gasoline,
20 electricity or natural gas. For reasons that we've
21 touched upon today, increased demand, global
22 instability, and the need to control emissions, that is
23 no longer the case.

24 Considerable technological and scientific
25 challenges lie ahead of us, but we can and we will meet

1 them. This will not come cheaply, and we must face the
2 reality that costs will rise. But we are on the right
3 path and I hope you agree with me that the president is
4 correct when he says America must move quickly down the
5 road to greater energy efficiency, diversified energy
6 supply, and reduced reliance on energy imports.

7 Much work remains to be done, but we can
8 build on our successes thus far and ensure that goal
9 will be an environmentally-safe and abundant source of
10 energy well into the future.

11 Thank you.

12 (Applause).

13 MS. NELSON: Thank you.

14 Council Business

15 MS. NELSON: Before we get to our featured
16 speakers, I'd like to conduct our Council Business.

17 By letter, dated August 15th, 2007, in my
18 position as Chair of the National Coal Council and on
19 behalf of the members of the Council, I signed a letter
20 to Secretary Bodman requesting his approval to conduct
21 a new study that would build on the work of the
22 previous two Council studies.

23 In his letter of response, dated October
24 12th, Secretary Bodman approved of the Council
25 conducting this study.

1 While not much time has passed since the
2 Council has received this approval, we have been
3 working diligently to establish a management team to
4 conduct this work. Council member Mark David Goss,
5 Chairman of the Kentucky Public Service Commission, has
6 agreed to chair the study for the Council. Council
7 member Paul Cicio, President of the Industrial Energy
8 Consumers of America, has agreed to chair the Study
9 Work Group.

10 I would now ask that first Fred Palmer,
11 Chairman of the Coal Policy Committee, and then Paul
12 Cicio come to the podium and give a brief status report
13 on the study.

14 MR. CICIO: Before I get into the study, I
15 just want to be sure that everyone in this room, every
16 member of the National Coal Council understands that
17 the Industrial Energy Consumers of America values its
18 participation in the National Coal Council.

19 We have our challenges and we are all in this
20 together, and I hope that we will take this meeting and
21 the announced study and increase our participation in
22 the National Coal Council, that we have all of the coal
23 companies and all of its suppliers and all of the
24 electric utilities and all of the consumers on board.
25 We have an important message, we have an important

1 role, and much is at stake.

2 Specifically for the Industrial Energy
3 Consumers of America, we are large, large consumers.
4 It's the paper industry, the steel industry, the
5 aluminum industry, the brick industry, the cement
6 industry, the bit processing industry, fertilizer.

7 Unfortunately, we use a lot of energy.
8 Energy costs have gone up and we have paid the price
9 and these jobs are moving overseas. We need affordable
10 and reliable energy, specifically electricity. That's
11 one of the reasons why we've built so much capacity
12 here in the United States.

13 But unfortunately, with higher energy costs
14 since 2000, we have lost in the United States a total
15 of 18 percent of all manufacturing jobs, 18 percent,
16 3.1 million high-paying good jobs.

17 When I say what's at stake here, I challenge
18 anybody to increase the GDP of this country without
19 increasing the use of these products. Cement. How are
20 you going to build roads without cement? How are you
21 going to build your infrastructure without steel?
22 Bridges? High-rises? How are you going to increase
23 your food production without more fertilizer? How are
24 you going to build lightweight vehicles or airplanes
25 without more composite plastics and aluminum and on and

1 on and on?

2 My point is, is that, the Industrial Energy
3 Consumers certainly value the role of coal in the
4 energy mix in this country and we are dedicated to work
5 with you to find good technology solutions, not only
6 for the country but for the world, and to help us as a
7 world reduce our carbon footprint. It's good for
8 everybody.

9 Now with that, as has been announced, the
10 Secretary has approved the Council to conduct a green
11 coal study and to also simultaneously meet our nation's
12 environmental challenges.

13 There are five parts to the study. Part 1,
14 beneficial electrification of the economy from low-cost
15 coal with carbon capture and storage and zero criteria
16 pollutant emissions.

17 Number 2 is turning coal into pipeline
18 quality syn gas with up to 99 percent carbon capture.

19 Number 3 is producing liquid transportation
20 fuel from coal with superior air quality properties
21 with 80 percent carbon capture.

22 Number 4 is use of electricity from green
23 coal to fuel hybrid plug-in electric vehicles.

24 Number 5 is exploring the feasibility of in
25 situ coal gasification with near zero emissions.

1 The study is going to focus on operating
2 projects. It will incorporate performance and economic
3 data. Consistent with the National Coal Council
4 guidelines and our standard operating procedure, we
5 will be calling a meeting shortly with Mark David Goss
6 and the Council leadership to arrange for our first
7 meeting. All of you will be notified of that meeting,
8 the time and place, and we, as always, we need your
9 input. We are all in this together, and we look
10 forward to working with you on this project.

11 Thank you very much.

12 MS. NELSON: Thank you, Paul. I might
13 mention that in your packet, there should be a copy of
14 the letter requesting this study and explains the study
15 in some detail.

16 In addition, let me underscore one of the
17 comments that Paul made. One of the reasons that the
18 Council studies have been so well received and so
19 robust in terms of their subject matter and content is
20 because of the participation of everyone on the
21 Council, and so please, as you receive the e-mail, if
22 you have something to contribute, if you have an
23 interest, if there's someone in your company, on your
24 staff, whatever, they can add to the thinking, we
25 welcome all of your participation.

1 We have one other item of Council Business
2 before we move on to our guest speakers. So, I would
3 like to dispense with the Council Business first.
4 We'll take a short break and then come back for
5 speakers.

6 But I'd like Bob Beck to give you a brief
7 report on the 2007 Audit and the 2008 Budget.

8 MR. BECK: Thank you, Georgia. The report is
9 on behalf of Rich Eimer, who's the Chairman of the
10 Finance Committee, who is involved with his own board
11 meeting this morning and could not be with us.

12 As per usual, Chaconas and Wilson is the
13 auditing firm that we will once again have conduct our
14 audit and that will be taking place some time in the
15 first part of next year.

16 As for the 2008 budget, as Rich reported to
17 you all at our Spring meeting this past June, we are in
18 an effort to rebuild our reserve account which has
19 basically gone to just about zero. The invoices for
20 the 2008 dues were mailed on Friday. So, when you all
21 get back to your offices, check your snail mail and
22 hopefully those invoices will be there.

23 As Rich announced at that meeting, the
24 Executive Committee has requested that folks consider
25 doubling this year's dues payment in order to build

1 back those reserves. That is reflected in the invoice.

2 We understand that some of you may be able to do that
3 and some may not, but whatever help you can afford the
4 Council would be greatly appreciated.

5 Other than that, if, when you get back and
6 you see the invoice and you would like it worded in
7 some other manner, some of you have requested that from
8 time to time, please feel free to give us a call or
9 shoot us an e-mail and we will do that for you.

10 We do not routinely approve the budget at
11 this meeting because that's a function of the Executive
12 Committee, but if anyone does want a copy of the 2008
13 budget, if you can't sleep at night and you'd like to
14 read numbers that are really tiny, we would be more
15 than happy to give you copies of that. Again just see
16 me or give me a call or whatever.

17 That's really all for the report and -- oh,
18 one other thing I might point out on the study.
19 Several of you have asked me if the study will also
20 look at the legal ramifications of liability, due
21 diligence, ownership of the CO2 that we're trying to
22 store.

23 We fully intend to do that, so that would be,
24 I guess, Paul, maybe Point Number 6 to the study that
25 would run throughout the concept of the study as well.

1 Thank you.

2 MS. NELSON: Thank you, Bob. Okay. Let's
3 take a 10-or-15-minute break. We'll reconvene at about
4 9:45. How's that?

5 (Whereupon, a recess was taken.)

6 MS. NELSON: Please begin to take your seats.
7 We're going to start here in a couple of minutes.
8 Thank you.

9 (Pause).

10 MS. NELSON: Welcome back. We'll reconvene.
11 I'd like to introduce Mike Mueller, who's the Vice
12 Chairman of the National Coal Council. Mike's going to
13 handle the speaker portion of the program.

14 Mike?

15 MR. MUELLER: Good morning, everybody. It's
16 my pleasure to welcome and introduce our guest speakers
17 today, and our first speaker is Dr. Roger Bezdek, and
18 as Fred had mentioned a little bit earlier, he's going
19 to talk to us about coal to liquids today.

20 Dr. Bezdek is the President of Management
21 Information Systems. He has 30 years' experience in
22 research and management in the energy, utility,
23 environmental and regulatory areas, serving in private
24 industry, academia, and the federal government.

25 Dr. Bezdek has served in many capacities.

1 Some of those include corporate director, corporate
2 president, CEO, university professor, research director
3 in ERDA and DOE, and special advisor on Energy in the
4 Office of the Secretary of Treasury. He has served as
5 a consultant to the White House, federal and state
6 government agencies, and various corporations and
7 research organizations.

8 During 2003-2004, Dr. Bezdek served on the
9 federal task force charged with rebuilding the economy
10 of Iraq and is currently serving as a member of the
11 Joint U.S. National Academies of Science/Chinese
12 Academy of Sciences Committee on Energy Futures and Air
13 Pollution in Urban China and the United States.

14 Dr. Bezdek received his Ph.D. in Economics
15 from the University of Illinois, Urbana, is an
16 internationally recognized expert in energy market
17 analysis, research and development assessment, and
18 energy forecasting. He is also the author of four
19 books and of 200 articles in scientific and technical
20 journals.

21 He's a recipient of numerous honors and
22 awards. He has also served as a U.S. representative to
23 international organizations on energy and environmental
24 issues.

25 With that, please join me in welcoming Dr.

1 Roger Bezdek.

2 (Applause).

3 Presentation on Department of Defense CTL Projects

4 DR. BEZDEK: Thank you for the introduction.

5 Today, I'm going to talk about the importance
6 of coal to liquid in the nation's energy mix and then
7 look at how the Department of Defense views it and the
8 importance of it for civil aviation as well.

9 As most of you know, we are becoming
10 increasingly dependent on energy imports for both oil
11 and natural gas. These are the latest EIA forecasts of
12 our increasing dependence. By 2030 EIA, it's
13 forecasting that we could be importing two-thirds of
14 our oil and as much as 25 percent of our natural gas.
15 Other forecasters are less optimistic, saying that we
16 could be importing up to 75 percent of our oil and 25
17 to 30 percent of our natural gas.

18 There are obvious serious and increasing
19 risks to this excessive energy dependence. It will
20 depend on OPEC and a small number of countries.
21 There's a potential of excess dependence on imported
22 natural gas, which I'll say more about in a minute, as
23 well as oil. Real oil production may have already
24 peaked, if not, it will certainly peak within the next
25 seven or eight years, and by peaking, I do not mean

1 running out of oil, simply the demand for oil is
2 increasing faster than available supplies, and that
3 situation is likely to get a lot worse for the
4 foreseeable future.

5 Worker trade deficit. Almost 800 billion in
6 2006, caused in large part by imports of energy,
7 increasing global competition of energy supplies from
8 China and India and other developing nations.

9 Concurrent with this, of course, there's very
10 serious natural security concerns expressed by the
11 Department of Defense as well as this Administration.
12 The lack of secure, reliable source of energy obvious,
13 the dependence on foreign oil, ultimately becoming more
14 dependent on foreign refined fuels, the supply chain
15 vulnerability and the obvious threat of terrorism and
16 natural disasters. All of these again are natural
17 security concerns of which the Department of Defense is
18 quite worried.

19 This signifies the beginning of peak oil.
20 Oil for the past couple of years has gone from \$20 a
21 barrel to it's now, having shot to where it is today,
22 it's approaching triple digits, and again peak oil does
23 not mean the world is running out of oil. There's one
24 or two trillion barrels left. It's simply the fact
25 that we cannot -- the world cannot produce it fast

1 enough. It's demand-driven, in large part not only by
2 the United States but the increasing demands of
3 economies from China and other nations.

4 I was at an energy conference in Houston here
5 last month which was very good and very depressing.
6 Some of the top energy experts in the world were
7 looking at future oil supplies and demand and the
8 situation is quite bleak. Talking with T. Bone
9 Pickens, he said that he expects \$100 a barrel oil by
10 Christmas. The way things are going, he may well be
11 right.

12 Right behind this, I think, especially with
13 oil approaching \$100 a barrel, there's general
14 awareness of our problems with being more and more
15 dependent on imported oil. Natural gas situation is
16 close behind that but not nearly the recognition.

17 U.S. natural gas production peaked what, four
18 or five years ago. Natural gas production in Canada
19 has also peaked and is decreasing. Any forecast you
20 want to look at indicates that we're consuming more and
21 more and producing less and less and therefore we'll be
22 importing more and more, being as the EIA has changed
23 their forecasts somewhat, but the situation again is
24 quite disturbing, certainly cause for concern. Again
25 by 2030, we could be importing 20-25-30 percent of our

1 natural gas, almost all of it in the form of LNG, which
2 means the LNG situation -- everyone from Alan Greenspan
3 on down has stated that LNG will be our salvation.
4 Somehow it's going to save us from natural gas
5 problems.

6 Aside from the fact that LNG is a global
7 economy priced off of oil, but increasingly being
8 priced as an international commodity, very similar to
9 passing effects and problems, very similar to that of
10 imported oil in terms of excess dependency, security
11 risks, balance of payments problems and so forth.

12 The other thing which we have been talking
13 about for at least a decade now, many of the same
14 people who express concern about our excessive
15 dependence upon foreign oil from unstable regions and
16 nations, people that just don't like us, haven't
17 realized that much of the LNG we will supposedly import
18 in the next 20 years come from the same regions and the
19 same nations.

20 So, if you're concerned about the problems of
21 excessive dependence upon imported oil, then you need
22 to be even more concerned about being dependent upon
23 those same people and nations for imported natural gas
24 in the future, if the forecasts I've just shown are
25 anywhere near to coming true.

1 Also, especially with respect to the liquid
2 fuels problem, people just don't recognize, in general,
3 the scale of the problem. This is a little exercise we
4 did at the request of DOE last year after President
5 Bush's famous reference to addiction to oil and
6 dependence on foreign sources, et. cetera.

7 The subtitle I put up there is the first
8 thing you have to do is stop digging. Then we asked
9 what are the implications of not becoming more
10 dependent upon foreign oil imports but just maintaining
11 the level of dependence as it was in 2005 at about 13
12 million barrels a year? Well, you heard one report
13 said 13 million barrels a year, U.S. consumption
14 continues to increase and U.S. production, domestic
15 production of oil continues to gradually decrease and
16 you've got the upper wedge there, there's a supply gap.

17 By 2025, this tells us that not to reduce our
18 dependence on foreign oil but just to keep it where it
19 was in 2005, we'll need an additional, an incremental
20 five million barrels a day of liquid fuels. That's a
21 lot of liquid fuels. For example, that's more than
22 five times the amount of liquid fuels that the entire
23 country of Australia currently uses.

24 So, just to stop digging, we need an
25 additional five million barrels of liquid fuel within

1 certainly less than 20 years. It's an enormous
2 problem, the scale of which, you know, people when they
3 talk about energy dependence and they talk about
4 various alternatives, such as windmills and affordable
5 tax and the rest, simply don't realize the problems we
6 face.

7 These graphs are from a study we conducted
8 for the Southern States Energy Board last year. We
9 tried to determine if we were serious about reducing or
10 eliminating oil imports by 2030, what would it take?
11 Well, it takes a whole portfolio of options obviously.

12 We have to become much more energy efficient in the
13 transportation sector. Everyone seems to agree on
14 that.

15 We're still going to need an awful lot of
16 incremental liquid fuels, as U.S. consumption goes up
17 at some rate and U.S. production of liquid fuels goes
18 down. For those people who think you can reduce total
19 U.S. consumption, I have two figures for them. 300
20 million in the United States today and in 35 years,
21 there will be 400 million. So, we're talking at best
22 reducing the rate of increased consumption.

23 Among the portfolio of options we have that
24 we looked at that are technologically and commercially
25 feasible, again there's transportation efficiency

1 obviously, biomass liquids, enhanced oil recovery, oil
2 shale, and, of course, coal to liquids. Coal to
3 liquids is not exclusively the only part of the
4 solution, but it is the key part of the solution and
5 requires upwards of about -- it's about a third of the
6 solution to the problem.

7 CTL, we feel, is capable of producing about
8 29 or 30 percent of the incremental liquid fuels we
9 need by 2030. This presupposes a massive aggressive
10 effort over the next quarter century in all of these
11 areas, but in coal to liquids, CTL has to be a major
12 part of the solution. We can't come close to
13 eliminating or significantly reducing oil imports
14 without CTL.

15 Theoretically, the U.S. can't become what
16 some people are calling the conservative estimate of
17 domestic coal resources in the oil equivalent. We have
18 about twice as much oil equivalent, U.S. coal reserves.
19 Forget about oil and shale and the rest. Just the
20 U.S. coal reserve is twice the volume of oil equivalent
21 as in the entire Middle East.

22 CTL technologies. There's nothing exotic.
23 It's been around for at least 80 years. It's
24 gasification conversion and then upgrade to clean,
25 ultraclean synthetic fuel.

1 There's been a number of studies over the
2 past year or so looking at the potential of CTL in the
3 U.S. energy mix. We mentioned the SSEB study last
4 year, see that we get to 5.5 million barrels or more by
5 2030. Again, this presupposes a massive crash effort
6 starting hopefully this year or next.

7 The National Energy Technology Laboratory
8 study published in July of 2006 said we'd get to about
9 5 or 5.1 million barrels by 2027. The NCC study last
10 year said more than 2.5 million by 2025. The DOE
11 Unconventional Field Task Force said 2.5 million by
12 2035. A range of estimates, but the bottom line is all
13 studies indicate that the potential for CTL in the U.S.
14 is tremendous, is very significant any way you wish to
15 cut it. Again, CTL has to be part of the solution.

16 DoD is very interested in FT fuels,
17 especially CTL. The program using nine different kinds
18 of battlefield fuels, we want to reduce that to one,
19 and FT process fuels are the way to go, they feel.

20 Well, what this series of pie charts simply
21 shows is that the government uses about two percent of
22 the liquid fuels in the country, 93 percent of that is
23 DoD, and upwards of 60 percent of DoD's is the Air
24 Force. So, the Air Force is, you know, obviously and
25 logically by far the largest user of liquid fuels in

1 the federal government, a very significant user as far
2 as the entire country goes.

3 This is the Air Force view of the situation.

4 They feel just like DoD, that energy is both an
5 economic security and national security issue. The
6 costs are obviously going up two and three and fourfold
7 over the past several years and when the data come in
8 for 2007, we'll see another huge increment.

9 National security issue. I mentioned that
10 earlier. In terms of the Air Force, it's reducing the
11 flying hours and hurts training and combat readiness.
12 They're looking for assured domestic supplies of fuel
13 for obvious reasons and a resilient and reliable energy
14 distribution capability.

15 They feel, certainly after the hurricane
16 situation several years ago, that the oil markets are
17 very dicey, to say the least. Energy price forecasts
18 remain elevated through 2007, obviously through 2008,
19 '09, '10 and so forth.

20 Of course, the Air Force concerns are a
21 subset of the national concerns. The Air Force can
22 demonstrate leadership. They're trying to develop a
23 comprehensive Air Force strategy. They want to develop
24 enough independence to have assured domestic supplies
25 for aviation purposes.

1 These graphs simply indicate how the Air
2 Force costs have increased both in total as well as
3 gallons per flying hour and et. cetera. The lines go
4 up and up and again when you get to the data for the
5 most recent year, those lines will simply be a lot
6 higher.

7 All right. The Air Force has a program.
8 They want to accelerate development and use of
9 alternative fuels, especially FT fuels. They want to
10 increase use of the syn fuels to a hundred million
11 gallons in the next two years. They want to certify
12 the entire aircraft fleet on FT fuels by 2011. They've
13 also already certified the B-52 fleet on FT fuels and
14 are now in the process of certifying all the other
15 airplanes they have in their fleet. They want to
16 extend contracting authority to 25 years. This is very
17 important for stimulating a commercial syn fuel CTL
18 industry, that the Air Force will be able to offer
19 firm priced contracts for the products for the next 25
20 years. That is currently going on in Congress.

21 They have a goal by the year 2060, 50 percent
22 of the fuel they use will be syn fuels, primarily FT
23 fuels, derived from coal. I mentioned the B-52 bomber
24 test has been successfully completed. Again, the Air
25 Force wants to partner with industry for the

1 development of the U.S. syn fuel industry.

2 The Fisher Fuels have enormous benefits for
3 the Air Force, for military aviation as well, of
4 course, for civilian aviation, as we'll see in a
5 minute. So, I'll talk more about that in a second.
6 Superior low temperature properties and excellent
7 thermal stability of high temperatures.

8 So, as far as the Air Force is concerned, FT-
9 derived fuels are really a win-win-win situation.

10 The Air Force does have environmental
11 concerns. They'll not buy the fuel unless it's
12 greener. CTL-derived fuels can meet this Air Force
13 goal. These are the emission reductions relative to
14 typical diesel fuels from CTL. You'll see very
15 substantial reductions at the burner point from sulphur
16 aeronautics, hydrocarbons, carbon monoxide
17 particulates, NOX, and CO2.

18 In addition, the Air Force wants to ensure
19 that the carbon footprint of their syn fuels be less
20 than imported oil. CTL can achieve this with the CS.
21 This is data from the Department of Energy's National
22 Energy Technology Laboratory. You'll see that both
23 Illinois Coal and Wyoming Power Basin Coal with CCS
24 will have a much smaller carbon footprint than imported
25 oil.

1 So, there's been so much misinformation over
2 the past year or two about dirty coal and how dirty CTL
3 fuels are or will be. If you retain anything from this
4 presentation this morning, remember this graph and this
5 one to refute those arguments. These are in today's
6 environment very, very important points to remember.

7 Commercial airlines are also very concerned
8 about rising fuel costs and if you have been reading
9 the papers or watching television the past month or
10 two, this concern has been increasing drastically.
11 Beginning in 2006, for the first time in history, fuel
12 exceeded labor as the major cost for U.S. airlines.
13 Fuel is now 27-28 percent, labor is 23 or 24 percent.
14 This is 2006 data.

15 When the data for 2007 comes out, I expect
16 that fuel costs will be closer to 30 percent of airline
17 costs. Again, a major change the first time in the
18 history and as any of you who have flown recently,
19 airlines have cut back on pretty much everything else
20 in terms of service personnel and reliability and
21 whatnot. But, you know, it cannot cut back on fuel.
22 You need fuel to fly airplanes.

23 The price of per gallon of jet fuel increased
24 by just one cent a gallon, it costs U.S. airlines an
25 additional \$200 million a year in annual operating

1 expenses. American Airlines uses more fuel than the
2 country of Ireland which I find interesting. In 2006,
3 they paid almost \$200 million more for fuel than in
4 2004. So again, aircraft industry in general and
5 individual airlines in particular.

6 Most importantly, unlike the other modes of
7 transport, aircraft currently have no alternative
8 sources of fuel. You don't hear about hybrid
9 airplanes. You don't hear about electric airplanes.
10 Airplanes need at present and into the future
11 petroleum-based fuels to fly.

12 In other work I've recently done, I'll just
13 mention a minute here, you look at both the national
14 and international forecasts for growth in airlines,
15 everyone is forecasting that airline miles traveled,
16 revenues, commercial, general aviation, cargo-carrying
17 aircraft, will be increasing somewhere between six-
18 eight-10 percent a year for the next 25 years.

19 Think about that almost exponential rate of
20 increase compounded over 15 or 20 years and you see why
21 the aircraft industry and the airline industry is
22 concerned.

23 Again, aviation fuel costs have risen
24 rapidly, tripled in four years, and when the data for
25 2007 comes out, expect that \$38 billion figure to

1 probably be somewhere in the range of \$45 to \$50
2 billion.

3 The other interesting fact, you talk about
4 the scale of the problem, which I know people just have
5 no comprehension of, a little exercise we did. You
6 look at the EIA forecasts of U.S. domestic oil
7 production in 2030. Then you look at the EIA forecast
8 of U.S. civilian aviation fuel requirements in the year
9 2030 and you see that by the year 2030, EIA is
10 forecasting, under the reference case scenario, that
11 the liquid fuel needs of the U.S. civilian aviation
12 sector will begin to approach 50 percent of U.S.
13 domestic oil production in that year. That's all
14 aviation. That's general aviation, cargo, passenger,
15 et. cetera.

16 But think about it for a minute. Somewhere
17 about 45 percent of total U.S. domestic oil production
18 in 2030 may be required by the U.S. civilian aviation
19 sector. What does that leave for the rest of us? For
20 vehicles, for state governments, for emergency
21 vehicles, fire trucks, the Department of Defense, and
22 so forth. Again, it's the scale of what we're heading
23 for, the scale of the problem, that people simply don't
24 seem to realize.

25 Even if we're off by a factor of 10 or 20

1 percent, so what? The problem here is enormous and
2 it's not only a problem for civilian aviation. They're
3 not going to get 45 percent of U.S. domestic oil
4 production in that year. I can guarantee you that.

5 Fortunately, CTL provides a very valuable
6 alternative fuel. Aircraft, both civilian and
7 military, have highly specialized demands for fuel.
8 Syn fuel, using CTL technologies, offers great promise
9 as that alternative aviation fuel. It can meet current
10 specs and no aircraft redesign and no new engines are
11 required. That's very important for both civilian and
12 military aviation. That is, CTL can provide a drop-in
13 replacement for jet fuel. Simply drop it into
14 available airplanes that you have out there.

15 Biofuels can't do this. For all the talk and
16 hype about used french fry grease and all the rest,
17 biofuels are not compatible with aviation requirements.

18 They probably will not be for the foreseeable future.

19 Most importantly, synthetic aviation fuels
20 derive from coal are currently used and have been for
21 the past decade. Any airplane that flies in or out of
22 Johannesburg International Airport is fueled with at
23 least 50 percent of CTL-derived fuel. So, it does
24 work. We know that.

25 In response, aviation sector and individual

1 airlines are beginning to encourage syn fuel
2 development. JetBlue, Federal Express, Virgin
3 Airlines. Other airlines are getting active in this
4 area. Last Fall, the ATA Commercial Aviation
5 Alternative Fuels Initiative began to look at this.
6 So, the aviation industry, civilian aviation is aware
7 of what's happening here.

8 Take that one example of FedEx, obviously a
9 major player in aviation and transportation. \$32
10 billion in revenue, quarter million employees, more
11 than 700 aircraft and 50,000 ground vehicles. 2006, it
12 spent \$2.5 billion for fuel. In 2007, \$4-4.5-5
13 billion. We don't know yet, but it's going to be a lot
14 higher than that.

15 An individual company at the micro level of
16 FedEx has been fuel price hedging and reverted to the
17 good old fuel surcharge. If you've shipped anything by
18 Federal Express in the past year or two, you see that
19 little added part of your bill which is a fuel
20 surcharge. FedEx can get away with it. A lot of other
21 companies probably can't or can to a lesser extent.

22 They tried price hedging. It didn't work.
23 They're seeking to use more fuel-efficient and hybrid
24 vehicles in their ground fleet. They've had mixed
25 success with it. It's a very long-term program and, of

1 course, they're exploring the use of alternative
2 aviation fuels for obvious reasons.

3 At the macro level, Fred Smith, CEO of FedEx,
4 is co-chairing Securing America's Future Energy, which
5 is dedicated to reducing U.S. oil imports and
6 increasing energy security, encouraging the federal
7 government to develop alternative fuels and promoting
8 U.S. vehicle fuel efficiency standards. FedEx realizes
9 that if the country is in trouble, then FedEx is in
10 trouble with respect to liquid fuels. There's certain
11 things they can do as an individual airline. There's
12 other things that have to be done nationwide.

13 In sum, first of all, U.S. oil imports are
14 increasing and may exceed two-thirds by 2030, may
15 exceed two-thirds next year the way things are going.
16 This dependence is causing obvious economic foreign
17 policy and national security problems. Coal can and
18 must play a key role in reducing U.S. energy imports
19 and enhancing national security.

20 The U.S. coal reserves are twice the oil
21 equivalent of the entire Middle East. CTL Technology
22 is well proven and currently in use in other nations.
23 Again, I stress that well proven and currently in use
24 which you can't say for any other alternative liquid
25 fuel technology at the present time.

1 U.S. CTL potential could be as much as five
2 million barrels per day within 23 years. This is
3 technologically and commercially feasible. Whether it
4 happens or not is open to some question, given what's
5 going on in Congress, and as the Under Secretary said
6 here earlier, it's up to the people in this room to try
7 to help to make this happen.

8 The DoD and the Air Force have immense liquid
9 fuel requirements and really want to rely on CTL-
10 derived fuels. U.S. airlines are also concerned and
11 the bottom line here is U.S. must develop a viable CTL
12 industry.

13 The Air Force is very serious about using
14 synthetic blends. Their long-term goal, near-term
15 goal, actually, is 50 percent by 2016, as I mentioned.

16 There's a lot of ongoing research and development and
17 use of fully synthetic fuels. They really want to work
18 with industry to develop the U.S. CTL industry.

19 Finally, civilian airlines have much the same
20 concerns and problems and face many challenges. For
21 the first time in history, the largest single cost for
22 the U.S. airlines. Coal-based syn fuels are the only
23 viable alternative the airlines have, the aircraft
24 have, either in the military or the civilian sector.
25 There's a number of civilian initiatives underway to

1 address this.

2 Thank you for your attention.

3 (Applause).

4 MR. MUELLER: We have time for a few
5 questions if anybody has any for Dr. Bezdek.

6 MR. HOLLINDEN: Could you talk a little bit
7 about economics?

8 I'm sorry. I'm Jerry Hollinden, PBL.

9 DR. BEZDEK: Well, we've done a lot of
10 looking at the economics of CTL plants over the past
11 several years. Without a doubt, costs and anticipated
12 costs have gone and are going up, but that's true of
13 anything and everything in the energy sector these
14 days, including FutureGen, including offshore drilling,
15 including transmission lines and nuclear power plants
16 and everything else.

17 The feasibility study we've conducted for a
18 number of clients over the past two years indicates
19 that CTL plants under reasonable assumptions are viable
20 with oil in the mid 40s, \$45 a barrel. With the
21 increase in cost we've experienced, it's probably in
22 the range of assuming \$50 a barrel today, certainly
23 anything like current oil prices, CTL plants are a
24 winner.

25 Why aren't they proceeding more rapidly?

1 Because everyone in the energy industry recognizes what
2 happened in the 1980s where you had oil in today's
3 prices going from a \$100 a barrel down to, you know,
4 \$30 or \$40 a barrel in a matter of several years.

5 So, if these plants and the products they
6 produce, even if the sequestration and the rest, talk
7 about \$55 or \$60 a barrel, with oil at \$80 or \$90 or
8 \$100 a barrel, they're money-makers. If oil dips even
9 temporarily, well below \$50 a barrel, then there's a
10 problem.

11 That's why things like the Air Force's 25-
12 year contracting authority is critical to give the
13 industry the confidence and be able to attract the
14 capital, too. There's a massive capital requirement.
15 A 30,000 barrel a day plant would require, you know, at
16 least \$3 billion in capital to make it happen.

17 MR. ALI: Sy Ali with Clean Energy
18 Consulting.

19 You mentioned that CTL can meet current specs
20 and no aircraft redesign is required. You didn't talk
21 about the engine part of it. I know Wright-Patterson
22 has issued a contract to one of the engine
23 manufacturers to look at the impact of FT-derived fuel.

24 DR. BEZDEK: Well, the CTL fuels can and do
25 meet current aircraft specs. The Air Force has proven

1 that in a series of tests in the B-52 and other
2 aircraft, and as I mentioned, there are many civilian
3 aircraft that have been flying for the past decade
4 through and from South Africa using blends containing
5 FT CTL-derived fuels. So, I mean, that's pretty much a
6 given. It is a drop-in replacement fuel.

7 MR. MUELLER: One more?

8 MR. NEMETH: Roger, what about regulatory
9 requirements? What are you seeing out there in terms
10 of what states might require in the future with respect
11 to CTL plants?

12 Ken Nemeth, Southern States Energy Board.

13 DR. BEZDEK: In terms of air emissions? In
14 terms of water requirements?

15 Without a doubt, it's going to be a much
16 tougher regulatory environment in the future than it
17 had been in the past or even at the present time.

18 The projects I've been individually involved
19 with, we have factored in those requirements which take
20 additional time, additional expense for, you know,
21 environmental impact statements, water usage, CO2
22 emissions, things along those lines, and the thing I'm
23 concerned about is that, given the regulatory
24 environment in some states, even in Kansas these days,
25 that anything dealing with coal is going to be

1 disproved or disapproved, forbidden, simply for reasons
2 that are not all scientific or, as the Under Secretary
3 said, even logical.

4 I think we need to have a lot to be concerned
5 about in the regulatory environment the way it's
6 headed.

7 MR. MUELLER: I also had one quick question
8 for you, Dr. Bezdek.

9 You had mentioned that FedEx abandoned their
10 fuel hedging practices because it failed. I was just
11 curious. Do you know why, what they did and why it
12 failed?

13 DR. BEZDEK: No. Fred Smith was a speaker at
14 the SSEB-sponsored Energy Summit we had earlier this
15 year and we were talking with him about that at that
16 time and he said that their experience with fuel
17 hedging was very unsatisfactory and they abandoned that
18 and just went back to the fuel surcharge on everybody's
19 bill, and as I said, if you're doing anything with
20 FedEx these days, you notice your bill, there's always
21 a little extra line called fuel surcharge.

22 MR. MUELLER: We can manage that risk, so
23 that's why I asked that question.

24 Our next speaker is Alex Fassbender. He is
25 the Chief Technology Officer and Executive Vice

1 President of ThermoEnergy corporation with primary
2 responsibilities for technology development.

3 Mr. Fassbender is also President of
4 ThermoEnergy Power Systems, LLC, where he is leading
5 the development and commercialization of a zero-
6 emission pressurized oxy-fuel process called the
7 ThermoEnergy Integrated Power System.

8 Prior to joining ThermoEnergy, Mr. Fassbender
9 held engineering and management positions at the
10 Pacific Northwest National Laboratory. He has been
11 awarded 13 patents covering combustion and water
12 treatment and has received four R&D 100 awards.

13 Mr. Fassbender holds a B.S. in Chemical
14 Engineering from the University of California,
15 Berkeley, and a Master's in Chemical Engineering and an
16 MBA from the University of Washington.

17 With that, please join me in welcoming Alex
18 Fassbender.

19 (Applause).

20 Presentation on the Development and Commercialization
21 of the TIPS Oxy-Fuel Process

22 MR. FASSBENDER: Thank you, Mike, for that
23 kind introduction.

24 The Under Secretary talked about clean and
25 efficient and we heard a number of things that I think

1 have really well teed up this talk.

2 As has been mentioned, I think any industry
3 that's based on fossil fuel combustion is going to
4 transition from a time when they could emit the
5 greenhouse gases associated with that combustion for
6 free to a time when there will be a monetized cost for
7 the emission of those greenhouse gases. I think that's
8 generally accepted.

9 One of the things I want to mention is that
10 carbon capture and then its sequestration, this is a
11 technology step change. This isn't a little add-on or
12 an adjustment or a tweak. The end state of the power
13 cycle is no organized state. So, you have changed the
14 fundamental thermodynamics and so like powered flight
15 or nuclear energy, you're going to have new materials,
16 new design approaches. You're going to have new
17 institutions, new industries develop, and as an example
18 that's been brought up in different ways, the nuclear
19 industry would not have moved at all without the Price
20 Anderson Act to deal with the open-ended
21 indemnification associated with it and perhaps
22 something along that line might also be necessary for
23 sequestration.

24 I'm not a lawyer but it's for more lawyerly
25 people to look into than me, but something along those

1 lines might be needed before you'll get companies to
2 commit to that kind of a business.

3 So, it's not an incremental change, and when
4 you have a fundamental change like this, it's always
5 good to go back and look at the fundamental intentions.

6 What are your intentions? So, I have two daughters
7 that are grown up now, but when they were teenagers,
8 always when the boys came over, I wanted to know what
9 their fundamental intentions were and so it's good to
10 know that.

11 I want to digress a little bit about what do
12 I mean by intentional design of fossil fuel power?
13 That means that it's deliberate. It's on purpose.
14 You're doing it for a very specific purpose and we'll
15 get into what those purposes are and that design that
16 has to be focused on the intended outcome. What is it
17 you're trying to achieve?

18 Any kind of step change or clean sheet
19 design, you need to be advised and informed by what's
20 gone before but not constrained by it. If you own a
21 Hummer factory and you want to enter the Indy car race,
22 you don't convert a Hummer into an Indy car because it
23 has big tires and a big engine, four tires and a big
24 engine. You're probably going to have better results
25 in that outcome with a clean sheet design.

1 So, borrowing a phrase from an architect I
2 once heard, design follows intention. So, let's talk
3 about the end state intentions for this fossil fuel
4 industry we need to get to to grow this industry and to
5 have it be the vital part of our economy that we
6 absolutely need it to be.

7 We need zero asset gas and toxic emissions.
8 We need carbon capture. We need it to be reliable,
9 especially for the utility industry, and the corollary
10 to reliability is simplicity. We need to accomplish
11 this in as few process steps as we can, and then it has
12 to be efficient, both in terms of fuel and capital.

13 What are some of the things you'd like?
14 You'd like it to be fuel source flexible. You'd like
15 it to be able to use all ranks of coal, biomass,
16 whatever you can throw into it. Finally, there may be
17 a time between the capture stage and the sequestration
18 stage that you'd like it to have a fairly seamless
19 transition between catch and release and capture and
20 sequester.

21 Well, the technology, we call TIPS, is
22 pressurized oxy fuel and we examined this thoroughly
23 with the help of many universities, many well-known
24 scientists, national laboratories, reviewed by many
25 companies that are involved in the building of these

1 plants, and this is a clean sheet design that is
2 focused on these end state intentions that I mentioned.

3 It's supported by existing art. The basic
4 unit operations are things that have been done in
5 industry before, and we believe that this approach
6 maximizes the achievement of these design intentions.

7 Now you've all seen this diagram so many
8 times and, of course, the top line, we have folks
9 working on systems and others working on efficient ways
10 to deal with the existing power fleet. We have the
11 central line, the precombustion, and there's nothing
12 cogent that I can -- any words I can say that say
13 anything more than the actions of utilities, like Tampa
14 Electric, and the bottom line is us, and I show two
15 gold stars. We actually have three.

16 It's not atmospheric pressure oxy fuel. We
17 have all the costs and none of the benefits. It's
18 thermodynamics. It's no free lunch. This is
19 pressurized oxy fuel. You pay the piper upfront, but
20 on the back end, you get some really good benefits. We
21 can recover the latent heat from the produced and
22 entrained water, so if you have to slurry the coal to
23 pump it in, when you vaporize it, you can recover a
24 large fraction of that latent heat on the back end at a
25 useful temperature.

1 When you do that, you also scrub out all the
2 particulates and the acid gases. You also wind up, if
3 you manage this right, you can wind up with a CO2
4 stream at the end that is at liquid conditions or near
5 liquid conditions that is ready to go into a pipeline.

6 Very simply, all you're doing is taking the
7 existing combustion rank and cycle system that you have
8 today and instead of burning it with air, using oxygen,
9 you're doing a separation upfront and then you're doing
10 the whole thing under pressure. So, you pressurize the
11 air separation plant in coal. You pressurize them.
12 You combust it. You take the heat into a standard rank
13 and cycle unit. We'll talk about the impact on super
14 critical and ultra super critical systems in a minute,
15 and then the gas that comes out is essentially water
16 and CO2 with a little bit of schmutz added to it, the
17 acid gases and whatnot, and you've got to remove that
18 and condense the water and then condense the CO2.

19 Very straightforward. It builds on the past.
20 Why put up with the pressure? It seems like such a
21 headache. Well, there's a lot of good reasons. Dr.
22 Beer mentioned efficiency. I think that was mentioned
23 several times and that's what you get out of it. You
24 get higher efficiency. It not only can withstand point
25 of the fuel but for materials. I'll dwell on that in a

1 minute.

2 So you can recover latent heat vaporization,
3 those big plumes that go up the stack that people
4 talked about. Well, you would have one of those
5 because all that vapor water we're going to collect.
6 It's useless at atmospheric pressure, but at the
7 temperatures, at the pressures that we're talking
8 about, it's 550 degrees Fahrenheit. That's a useful
9 temperature. We can put that back into the boiler
10 feedwater, put that back into the rank and cycle.

11 How do we increase the efficiency of the rank
12 and cycle? It's straightforward. Super critical,
13 ultra super critical and multiple reheats. Nothing you
14 didn't learn in first year thermodynamics.

15 The other thing that's really a surprise to
16 us and one of the things KenMet pointed out when we
17 worked with them was the fact that doing this
18 simplifies the CO2 recovery train and there's some
19 movement behind that.

20 You basically are already at pressure, so
21 you've got some options with the CO2 recovery and if
22 you manage your oxygen production in the front right
23 and you do the rest of it, you can wind up with a CO2
24 that is pretty close to being pipeline ready. Minimal
25 low energy processes to get it that way.

1 There's also another thing when you talk
2 about oxy fuel. Whether it's atmospheric or
3 pressurized, any time you sit down with anybody who's
4 seriously started, you know, banging the numbers on
5 Aspen and their Excel spreadsheets will tell you that
6 there's a ratchet effect with efficiency, with the air
7 separation plan. The less efficiency, the more coal
8 you have to burn, the more oxygen you need. So there's
9 a ratchet effect there and so if you go oxy fuel, you
10 really want to go toward as high efficiency as you can
11 possibly get because the ratchet effect works the other
12 way as well.

13 Finally, the other way you deal with pressure
14 is lower cost. How can that be? It's because carbon
15 steel is much cheaper than hasloy. Well, there's a lot
16 of inferences and references on this, including the
17 Steam Handbook by Babcock and Wilcox, but using Aspen
18 Plus and Aspen Task Plus, which is the standard heat
19 transfer, heat exchanger design software out there that
20 generates basic designs and cost estimates, we picked a
21 number of a 100 megawatt plant, Illinois Number 6, and
22 did the math on this.

23 What would it take in terms of heat
24 exchangers to do this and the only thing we changed on
25 that was the pressure at which we conducted the

1 combustion. The numbers are quite amazing there. The
2 overall heat transfer coefficient is nine times
3 greater, but there's a ratchet effect with regard to
4 the heat exchangers themselves because you've got so
5 many interconnects and so many heads and sheets and
6 tube sheets and whatnot, and it turns out that in the
7 work that KenMet did, the pressurization in the vessels
8 to pressurize these things are relatively inexpensive
9 compared to the hasloy tubing for your ultra super
10 critical 4,000 psi, you know, 1,400 degree steam.

11 Then the other thing is that the CO2 product
12 recovery train again uses a low energy process.

13 I know this is a very detailed table here,
14 but it's too important not to put it in. We talked
15 again about high efficiency and that includes both
16 energy and materials and with the cost today, you know,
17 everything in a giant sucking sound, China and India,
18 they're buying everything they can get their hands on
19 and driving the prices of all these materials through
20 the roof, it's not going to change any time soon, and
21 this is part of our analysis and, you know, if you're
22 going to build these highly-efficient plants and move
23 to super critical, ultra super critical conditions and
24 move to multiple reheats, this heat exchanger issue is
25 going to rear its head, and I think you can see just

1 from this analysis that, you know, we offer, you know,
2 pretty substantial savings there and whether these are
3 the actual numbers or whether, you know, it's a factor
4 of two, it's still pretty good.

5 So pressurized oxy fuel. You condense the
6 exhaust water and recover the CO₂. It's a closed
7 system. So, it scrubs out all the particulates, acid
8 gases, and mercury. Mercurials, of course, speciate
9 into the oxidized and elemental and it'll show up in
10 either the condensed water or the condensed CO₂, but
11 you'll get it out. You can recover the reheated
12 vaporization and get CO₂ in an easy way.

13 Talk about sequestration ready here. In
14 order to capture CO₂, you need to have it ready for
15 transport and sequestration and NETL has a guideline
16 paper on this that talks about what those
17 specifications are and they're actually quite tough to
18 meet, and the real advantage of this process, one of
19 the real advantages is on that back end. It makes it
20 really easy to clean up and that's also sort of going
21 with the flow.

22 If you're going to compress this stuff,
23 you're going to compress this gas, what do you want to
24 compress it? You want to compress it and it comes out
25 of the ASU and it's clean and cool or do you want to

1 try and compress it on the back end after you have to
2 clean it and cool it and separate it and take a dirty
3 stream and do that. This is very straightforward.

4 The steam hydro scrubber is a device. It's
5 actually in Perry's Handbook if you're a chemical
6 engineer, and it's also mentioned in work done by
7 McDermott and Babcock and Wilcox and KenMet, but
8 essentially it's the unit removable of small
9 particulates.

10 If you ever noticed the little stream of
11 bubbles coming off the side of your champagne or your
12 Coca-Cola glass, that's essentially a nucleate
13 formation process where you have a saturated stream.
14 It's changing phase at an imperfection.

15 Well, this is the same thing in reverse.
16 Small particulates act as nucleation sites, like
17 seeding clouds for rain, and essentially that's what
18 the condensing heat exchanger does. You're condensing
19 the water in that heat exchanger and it scrubs
20 everything out and the fact that you're doing that at a
21 temperature that is industrially useful.

22 For instance, in some of these industrial
23 plants, you look at pulp and paper, you've all seen the
24 vast plumes of steam coming off. Well, imagine if you
25 encapture all that steam and turn around and make

1 eight-pound steam to put back into the plant. It's a
2 big number.

3 We've done material science. Let me go
4 quickly here. I'll come back to those. This is the
5 first presentation I sent. But it deals on the past
6 and the present and I think the other thing is fuel
7 flexibility.

8 When you look at this, there's intrinsically
9 no reason you can't use this for a wide variety of
10 fuels and if you're going to slurry the stuff, the
11 water content's not as big of an issue starting off on
12 it.

13 Then following on Roger's talk, looking at
14 coal to liquids, roughly 20 to 30 percent, depending on
15 the various processes that they use and whether it's
16 headwaters or SAS oil or whomever, you know, if you go
17 with the SAS oil approach of once through a fishatrobe
18 so the tail gas and no recirculation, substantial
19 fraction of the carbon mass is in the tail gas and if
20 we take that tail gas and run it through this process,
21 basically we get wonderfully efficient production of
22 power and steam to run the plant and we capture the
23 CO₂, but importantly, we get the water back and we get
24 the water back in a form that's useful to go back into
25 the front end of the plant and water is going to be one

1 of the major constraints to these coal to liquids
2 plants. You may have the coal in Mongolia, but you
3 don't have the water.

4 The other thing you can do is a graceful
5 transition from catching the least to capturing
6 sequestered. You've got essentially zero emissions of
7 toxics and CO2. They're intrinsic to the nature of the
8 process cycle and the rank and cycle, since it's an
9 indirect cycle, it's unaffected by the fate of the CO2.
10 The steam doesn't know what you're doing with the CO2.
11 It's unrelated.

12 So, if you were in a time when you wanted to
13 build one of these plants and you didn't have a place
14 to sequester it yet, you could go ahead and run the CO2
15 back through an expansion cycle, get the power off of
16 that, about two-three percent, and then when the time
17 came that you could put this in a pipeline, the rest of
18 the plant wouldn't know you did it.

19 So, we have advanced this technology using
20 Aspen models. We've done the material science with the
21 condensed heat exchanger. We're currently doing the
22 liquid vapor equilibrium testing for the CO2
23 condensation. We're working with KenMet, the Action
24 Systems Engineering, University of Nevada, Reno, NETL,
25 The Alaska Energy Authority, and EPA, and we gratefully

1 acknowledge their support.

2 You know, when KenMet did this, they said
3 that their economic analysis indicated that the TIPS is
4 the lowest cost option for carbon capture in general
5 and may be the only cost-effective option for lignite.

6 We're currently enlisting technical partners and
7 financial partners as team members, one of the reasons
8 we're here, and those partners can offer our patent
9 position. We have this essentially entire
10 thermodynamic pathway patented and we have issued
11 patents in the U.S., Russia, China, Mexico, South
12 Africa, and Australia, and pending everywhere else
13 pretty much.

14 I think that's it. So, if there's any
15 questions, I'd be happy to answer them.

16 MR. MUELLER: There's time for one question,
17 if anybody has one.

18 MR. PALMER: Thanks for the interesting
19 presentation. This is Fred Palmer with Peabody.

20 Have you done a costing of combined power
21 generation-CTL plant?

22 MR. FASSBENDER: No, we've not done that yet.
23 We did just a straight coal. We've been working on a
24 shoe string here.

25 MR. PALMER: Okay. And would you make -- is

1 this presentation going to be available? Could you --

2 MR. FASSBENDER: I'd be happy to.

3 MR. PALMER: Thank you very much.

4 MR. FASSBENDER: And this is the -- you know,
5 they told me not to make this too technical. We can go
6 into the weeds real quick if you want to.

7 MR. MUELLER: One more here.

8 MR. BEER: Two questions. One is cleaning up
9 the CO2 for sequestration, do I understand it that you
10 willing be cleaning up to such an extent that there is
11 no stack, that there is -- all the combustion products
12 can be sequestered as they totally?

13 MR. FASSBENDER: I think that there's a
14 specification on that and it really gets down to how
15 much NO, what's your fuel source.

16 MR. BEER: That's right.

17 MR. FASSBENDER: You know, how much NO is
18 going to be in there.

19 MR. BEER: Yes.

20 MR. FASSBENDER: There's one or two non-
21 condensables and then looking at the air separation,
22 the ACU, you know, there's not much of an energy
23 penalty going to a 97 percent oxygen resting argon.
24 So, you don't have any nitrogen in there and then how
25 much nitrogen is left in your coal and do you really

1 have to get that out? If you're working with
2 KinderMorgan on their pipeline, are they going to let
3 you put it in there?

4 MR. BEER: That's also an environmental
5 question.

6 MR. FASSBENDER: Right.

7 MR. BEER: You have to look at that. If it
8 is non-pressurized, then, of course, you have to take
9 into account also the compressor and the pipeline.

10 MR. FASSBENDER: Yeah. Absolutely.

11 MR. BEER: Yes, the next question is lignite.
12 How do you feed the coal into that pressurized vessel?
13 Is it a slurry?

14 MR. FASSBENDER: I think right now, yes, we
15 look to slurry.

16 MR. BEER: If it is a slurry, the slurry will
17 have something like 35 percent water in the slurry plus
18 the 35 percent water in the lignite.

19 MR. FASSBENDER: That's right.

20 MR. BEER: We are very close to watermelon in
21 water content.

22 MR. FASSBENDER: That's right. And there is
23 a break point on that with regard to the energy content
24 of the coal and how much you can recycle and the
25 pressure point, but, you know, the other question to

1 get back is what else are you going to do with lignite?

2 MR. BEER: So that may be a problem.

3 MR. FASSBENDER: Thank you very much.

4 (Applause).

5 MR. MUELLER: We're going to take a five-
6 minute break.

7 (Recess).

8 MS. NELSON: If we can ask those in the back
9 of the room to please take your seats, thank you.
10 Thank you.

11 Our third speaker, David Mazyck from the
12 University of Florida, is missing in action. We've
13 called his office and there's no answer and we assume
14 that he is desperately trying to get here, but he has
15 not arrived.

16 So, we are going to move on with the agenda
17 and Jim Connaughton, the Chairman of the White House
18 Council on Environmental Quality, was due to be with us
19 today and, as most of you are aware from news reports,
20 there's a lot of discussions surrounding energy policy
21 this week here in Washington, and he has been called
22 over to the White House for some critical discussions.

23 So, he is not going to be with us today, but he had a
24 number of items that we thought were important to
25 discuss and he has briefed Bob Beck and so I have asked

1 Bob if he would fill in for Jim and give us an
2 overview.

3 Bob?

4 MR. BECK: Thanks, Georgia. Jim, I talked
5 with him yesterday and again today, he actually missed
6 our reception as well for the same reason. They have
7 been really working away, I guess, on the various
8 legislative options that are floating through Congress
9 right now and specifically, I think, they're meeting
10 with Congressman Boucher this morning and all of his
11 staff who normally could pinch hit for him are critical
12 to those meetings as well.

13 So, we did have a bit of a chance to talk.
14 He promises that if we invite him back in the Spring,
15 in May or whenever we have our next meeting, that he
16 will move heaven and earth to be sure that he's here to
17 speak on this particular issue and, frankly, at that
18 time, it will make more sense.

19 The Major Economies meeting. The first
20 meeting of that group was held here in Washington on
21 September 27th and 28th. The major economies that are
22 involved are national economies, the 16 largest in the
23 world. They are, as you would think, China, India,
24 Russia, the United States, the United Kingdom,
25 Australia, Italy, Indonesia, you know, I'm going off of

1 memory, but they are responsible for about 80 percent
2 of the, I guess you would call it, the gross world
3 product and about 73 percent also of air emissions.

4 Large energy users obviously, and this is the
5 president's initiative to address climate change and
6 energy security. The official title is Major Economies
7 Meeting on Energy Security and Global Climate Change.
8 It is a preparatory process for the United States
9 delegation to take new information, new initiatives and
10 positions to the next meeting of the U.N. Conference of
11 Parties which is going to be held in Bali, Indonesia,
12 in December of 2008.

13 So, this process will be ongoing and
14 therefore for Jim to come back and speak to us in May
15 or thereabouts would be good timing and he possibly
16 could give us even more information than he could have
17 today.

18 The agencies involved from the United States
19 standpoint include the State Department, Secretary Rice
20 was one of the keynote speakers, Secretary Guterrez
21 from the Department of Commerce, and obviously
22 Secretary Bodman as well. Now, Jim Connaughton as the
23 chairman of the White House Council on Environmental
24 Quality has been specifically appointed by the
25 president to be the point person on this, so he's the

1 man, so to speak, and he's focused primarily, they're
2 all focused within the U.S. primarily on a lot of the
3 kinds of things that we talked about here this morning.

4 They are technology-driven. They believe
5 that the whole issue of carbon capture and storage,
6 transportation, et. cetera, is going to be technology-
7 driven and they are involved, I guess you might say, in
8 discussions with the United Nations, but all 16 of
9 these countries have agreed that the primary vehicle
10 for movement on climate change will be the U.N.
11 Framework Convention on Climate Change which is the
12 traditional vehicle that's been used that was signed in
13 Rio in 1992 and has led up through Berlin in '95 and
14 Kyoto in '97 and now they're looking for something over
15 and above that.

16 They have broke into numerous workgroups on
17 various pathways that involve just about every fuel you
18 can think of, coal obviously is involved, and so that
19 process will be ongoing, and we will stay in touch with
20 Jim and his people as well as the folks at Energy and
21 State and Commerce and stay plugged in.

22 Perhaps even in the Spring, depending on what
23 the status of our study is, we may have not only Jim
24 come over but perhaps somebody from Commerce and from
25 State as well to kind of lend their perspective. We'll

1 see how that goes.

2 Madam Chairman, other than that, that's about
3 all that I think I could offer without getting well
4 outside of my area of expertise on that particular
5 issue, and if any of you would like specifics, again
6 feel free to give us a call. We can put you in touch
7 with the right folks. Jim is very open. Bob Dixon off
8 of his staff was here last night for our reception and
9 they're very willing to chat with us and hear your
10 opinions and take your input.

11 Thank you.

12 MS. NELSON: Thank you, Bob. This meeting is
13 duly authorized and publicized and is open to the
14 public. The public can submit comments to the
15 Department of Energy or if any individual wishes to
16 speak, they may do so at this meeting. Those who wish
17 to speak may do so at this time. Each speaker is
18 limited to 10 minutes.

19 I understand we do have a member of the
20 public that would like to address the group today.

21 DR. WALIA: Good morning. My name is Daman
22 Walia. I am President and CEO of ArcTech, Inc. I had
23 the great pleasure of coming and addressing this group
24 about maybe four or five years ago on this whole new
25 approach of using coal, coal biotechnology.

1 I did not come prepared, so I just decided to
2 take and ask Bob to give me an opportunity to share
3 with you the kind of status of where we are and the
4 reason is, of course, today, we have oil prices
5 approaching \$100 plus. Coal plants have been canceled
6 and more are probably being canceled, and we have, of
7 course, the environmental issues that have continued to
8 compound with the use of coal.

9 So, we need a new and different approach and
10 I shared with you some years ago but let me kind of --
11 I'm going to give you a snapshot and then you can look
12 at my website or I'll be happy to follow up and give
13 you an answer.

14 What we have done is we have taken the coal
15 entirely differently, not as a carbon, not as a BTU,
16 but as a biomass. In fact, you can argue that coal is
17 essentially a biomass. It's a fossil biomass, and we
18 are using these microbes which came out of the
19 termites, termite guts, which can ferment coal to make
20 natural gas and we make coal products which are organic
21 products and I have a plant operating right here in
22 Virginia producing these products on a day-in and day-
23 out basis.

24 The products are used to grow organic food.
25 In fact, USDA, under the Natural Organic Program, has

1 approved the use of my product for growing organic
2 food. The EPA has approved its use to combine with
3 pesticide chemicals to make them safe.

4 The second thing we do is we use this
5 material to clean up all kind of wastewaters, municipal
6 wastewaters, industrial wastewaters. We use this
7 material to convert the military's obsolete bombs and
8 explosives into fertilizer. Just to kind of share with
9 you, just yesterday, my team at McAllister, Oklahoma,
10 plant converted one ton of explosives into fertilizer
11 and I have these plants being built all over the world,
12 in Egypt, Korea, India. I just came back from China.

13 The India plant gives us a way to actually
14 turn coal into a solution. In fact, with this, we can
15 take out almost five billion tons of carbon dioxide
16 from the atmosphere without doing anything that has to
17 do with, you know, the transportation.

18 The Defense Science Board had me come and
19 brief their Technology Panel and Policy Panel and they
20 are, of course, you know, supporting the use of this
21 technology. About a month ago, I briefed the Air
22 Force. We heard about the CTL issue. Our technology
23 approach, bottom line is we can make, for every barrel
24 of oil, we can take five tons of carbon dioxide from
25 the atmosphere.

1 Number 2. We can make liquid fuels, so we
2 can compete with oil even if it goes down to \$10 a
3 barrel. We don't need a 25-year guarantee. We need
4 help to, you know, drive this technology forward.

5 Now, if I take my plant to Virginia, I have
6 40-foot container which is being loaded with this coal-
7 derived organic material all the way to Egypt. Just
8 two weeks ago, we sent a shipment to Saudi Arabia and
9 if any one of you play golf, I have this product being
10 used on many, many golf courses all over this country.

11 So, coal, I think we've been kind of fighting
12 this on and on. We need to look at coal from a
13 different side and I'm a scientist by education and
14 I've been in coal, have worked in the coal mining
15 industry for about 25+ years, and I believe that -- I
16 was kind of discouraged when I heard this morning from
17 the Secretary, you know, putting all those gloomy and I
18 think if we look at coal from a different angle and
19 take a new strategy, the U.S. can provide leadership to
20 the rest of the world.

21 I also would like to share with you another
22 activity we're doing. Not only we have about 200
23 billion tons of coal, which is a minable reserve, but
24 we have about 5.6 trillion tons of coal which is
25 unminable. It's about 2,000 feet or below that

1 probably will never be mined, and we have worked on
2 projects in Texas where we can put these microbes in
3 the coal seam itself and produce methane gas less than
4 dollar per million BTU.

5 So, I think if we took our energy and
6 ingenuity and resources, I believe we can tame the oil
7 and we can make coal to be the basis of the next
8 industrial revolution which is a green revolution which
9 worldwide everybody's looking for.

10 So, I just want to share this with you and
11 I'm going to -- I brought some one-pagers and I'm going
12 to pass it on and if any one of you are interested,
13 please, you know, you can look at our website or
14 contact me. I'll be happy to do that.

15 Thank you for giving me the time.

16 (Applause).

17 MS. NELSON: Thank you. You can also just
18 leave them on the front table. How about if we do
19 that? Then you can take one as you leave, if you would
20 like to.

21 Let me announce that we hope to hold the next
22 full Council meeting in the Spring of 2008, location to
23 be determined, and with that, if there is no other
24 business -- anyone have any other business?

25 (No response.)

1 MS. NELSON: To come before the Council, we
2 stand adjourned. We are now off the record.

3 (Whereupon, at 11:05 a.m., the meeting was
4 adjourned.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25