

U.S. DEPARTMENT OF ENERGY

+ + + + +

THE NATIONAL COAL COUNCIL

+ + + + +

FULL COUNCIL MEETING

+ + + + +

THURSDAY,
MAY 22, 2008

+ + + + +

The full council meeting convened at 9:00 a.m. in the Doubletree Hotel, 1515 Rhode Island Avenue, N.W., Washington, D.C., Georgia Nelson, NCC Chair, presiding.

NCC MEMBERS:

- GEORGIA NELSON, Chair
- ROBERT O. AGBEDE
- ALLEN B. ALEXANDER
- SY ALI
- BARBARA FARMER-ALTIZER
- GERARD ANDERSON
- GREGORY A. ANDERSON
- LYNN A. ANDERSON
- RICHARD BAJURA
- JANOS M. BEER
- JACQUELINE F. BIRD
- SANDY BLACKSTONE
- STEVAN BOBB
- WILLIAM H. BOWKER
- GREGORY H. BOYCE
- F. WILLIAM BROWNELL
- ROBERT L. BRUBAKER
- FRANK BURKE
- MICHAEL CAREY
- HENRY J. CIALONE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

NCC MEMBERS: (cont'd)

PAUL N. CICIO
JOSEPH W. CRAFT, III
CHRISTOPHER C. CURFMAN
STUART DALTON
MICHAEL R. DeLALLO
MICHAEL D. DURHAM
JOHN DWYER
JOHN W. EAVES
RICHARD W. EIMER, JR.
GEORGE L. ELLIS
ALEX G. FASSBENDER
PAUL J. FELDMAN
JOHN S. FISCHER
KENNETH R. FRAILEY
PAUL GATZEMEIER
JANET GELlici
DOUGLAS J. GLASS
GUY GORNEY
MARK DAVID GOSS
PATRICK GRANEY
JOHN GROUNDS
MANOJ GUHA
CLARK D. HARRISON
J. BRETT HARVEY
WILLIAM J. HIGGINBOTHAM
WILLIAM HOBACK
GERALD A. HOLLINDEN
CLARENCE JOSEPH HOPF
EDWARD C. HURLEY
DANIEL R. JACK
CHRISTOPHER P. JENKINS
CHARLES E. JONES
MICHAEL KARMIS
NORMAN KETTENBAUER
THOMAS G. KRAEMER
MAX L. LAKE
KLAUS LAMBECK
STEVEN F. LEER
A. DAVID LESTER
TOM LINEBARGER
JOHN T. LONG

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

JASON MAKANSI
NCC MEMBERS: (cont'd)

DANIEL T. MARTIN
CHRISTOPHER C. MATHEWSON
MICHAEL McCALL
JOHN S. MEAD
EMMANUEL R. MERLE
CLIFFORD R. MIERCORT
JEFFREY MILLER
NANCY MOHN
MICHAEL G. MORRIS
MICHAEL G. MUELLER
ROBERT E. MURRAY
RAM G. NARULA
KENNETH J. NEMETH
JOHN F. NORRIS, JR.
MARY EILEEN O'KEEFE
JANINE MIGDEN-OSTRANDER
UMIT OZKAN
DANIEL F. PACKER
FREDRICK D. PALMER
ROBERT L. PEARSON
JONATHAN PERSHING
JEFFREY D. PRICE
ROBERT M. PURGERT
RANDY RAHM
WILLIAM RANEY
BILL REID
FREDERICK M. REUTER, III
DAVID L. ROBERSON
JAMES F. ROBERTS
JONATHAN S. ROCKETT
JAMES E. ROGERS
DANIEL A. ROLING
CHARLES P. RUCH
DEBRA L. SCHUMACHER
MICHAEL J. SIERRA
ANNE E. SMITH
CHESTER B. SMITH
DANIEL D. SMITH
DAVID F. SURBER
MICHAEL W. SUTHERLIN
DAVID THOMAS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

MALCOLM R. THOMAS
NCC MEMBERS: (cont'd)

ARVIN TRUJILLO
DAVID D. TURNBULL
RAJA P. UPADHYAY
KATHY WALKER
STEVE WALKER
JEFFREY L. WALLACE
KATHY WALTON
MICHAEL L. WILLIAMS
KENNETH S. WILMOT
JAMES F. WOOD
GREGORY A. WORKMAN

NCC STAFF PRESENT:

LARRY B. GRIMES, General Counsel
ROBERT A. BECK, Executive Vice President, COO
PAMELA A. MARTIN, Executive Assistant
RICHARD A. HALL, CPA
ADRIENNE WINES, CPA

PRESENTERS:

JEFFREY KUPFER, Acting Deputy Secretary,
Department of Energy
THEODORE K. BARNA, PhD, Integrated Concepts
and Research Corporation
WILLIAM FANG, EEI Deputy General Counsel
JAMES CONNAUGHTON, Chairman, Council on
Environmental Quality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

	<u>PAGE</u>
I. Welcome and Call to Order by NCC Chair Georgia Nelson	6
II. Remarks by Acting Deputy Secretary Jeffrey Kupfer, Department of Energy	9
III. NCC Study Presentation by Fred Palmer and the Study Lead Authors	26
IV. Council Business	
-- Finance Report by Committee Chairman Richard Eimer	71
-- Secretary's Report by NCC Secretary Larry Grimes	73
V. Presentation by Ted Barna, ICRC Solutions, on DOD's Approach to Coal-To-Liquids	75
VI. Presentation by Bill Fang, EEI Deputy General Counsel, on Climate Change Legislative Proposals and Potential Economic Impacts	99
VII. Presentation by James Connaughton, Chairman, Council on Environmental Quality, on Climate Change Major Economies Meeting Process	133
VIII. Report of Nominating Committee Election of Officers for 2008- 2009 Term	181
IX. Other Business	--
X. Adjourn	

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 (8:58 a.m.)

3 CHAIR NELSON: Good morning, ladies
4 and gentlemen. My name is Georgia Nelson.
5 I'm Chair of the National Coal Council. The
6 regular meeting of the National Coal Council
7 is hereby called to order.

8 At our meeting this morning, we are
9 very fortunate to have a number of special
10 guests. We're pleased to welcome this morning
11 the Acting Deputy Secretary of Energy, The
12 Honorable Jeffrey Kupfer. Also, we have the
13 following speakers on today's agenda: Dr. Ted
14 Barna, ICRC Solutions; Bill Fang, Edison
15 Electric Institute; The Honorable James
16 Connaughton, Chairman of the White House
17 Council on Environmental Quality.

18 I am also pleased to recognize Mr.
19 Jim Slutz, DOE's Office of Fossil Energy, as
20 the Federal Designated Representative.
21 Welcome, Jim.

22 In addition to the speakers, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 must also conduct the regular business of the
2 Council, so we have a very full agenda this
3 morning.

4 This meeting is being held in
5 accordance with the Federal Advisory Committee
6 Act, and the regulations that govern that Act.

7 Our meeting is open to the public.

8 I would like to welcome guests from
9 the public who have joined us today. An
10 opportunity will be provided for guests to
11 make comments at the end of the meeting.

12 Full and complete minutes of the
13 meeting are being made, as well as a verbatim
14 transcript. Therefore, it is very important
15 that you use the microphone when you wish to
16 speak, and that you begin by stating your name
17 and affiliation.

18 Council members have been provided
19 a copy of the agenda for today's meeting. I
20 would appreciate having a motion for the
21 adoption of the agenda.

22 PARTICIPANT: So moved.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR NELSON: May I have a second,
2 please.

3 PARTICIPANT: Second.

4 CHAIR NELSON: All in favor?

5 (Chorus of ayes.)

6 Thank you.

7 The Secretary has appointed new
8 members to the Council. I would like to ask,
9 if any of the new members are here, they
10 please stand, so that we can recognize them.
11 Alex Fassbender, Thermo Energy Corporation;
12 Kenneth Frailey, Headwaters Energy Services,
13 Inc.; John Grounds, Uriah Bement Coal,
14 Incorporated. Welcome.

15 (Applause.)

16 And congratulations.

17 Now it is indeed my honor to
18 introduce Deputy Secretary Jeff Kupfer. On
19 April 2, 2008, President Bush nominated
20 Jeffrey Kupfer as Deputy Secretary of Energy.

21 As the Department's Chief Operating Officer,
22 he assists Secretary Bodman with policy and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 programmatic oversight over the 115,000-
2 employee, \$24 billion agency.

3 Please join me in welcoming The
4 Honorable Jeffrey Kupfer.

5 (Applause.)

6 MR. KUPFER: Good morning,
7 everyone. Thank you, Georgia. I'm grateful
8 for the opportunity to be here this morning.

9 Before I get into the actual
10 remarks, I also want to take a second just to
11 recognize some of my colleagues who are here
12 today. And there may be others who I don't
13 see, but I know Jim Slutz is here, Vic Der,
14 Bob Kane, Sara Magruder, all of whom do a
15 great job for the Department. It's good to be
16 with all of them today.

17 Just a few weeks ago, I gave a
18 speech on a similar topic -- coal -- at the
19 Exchange Monitor's Seventh Annual Conference
20 on Carbon Caption Sequestration in Pittsburgh,
21 which also happens to be my hometown. So I
22 figured I'd be treated reasonably well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Anyway, moments before I took the
2 podium, some protesters disguised as balloon
3 delivery men and women managed to get in and
4 let go a big bunch of balloons, printed with
5 some not-very-favorable words about coal,
6 right above the stage where I was about to
7 speak.

8 Because the conference was running
9 late, their not-so-subtle message, which was
10 clearly targeted at me and the Department, was
11 inadvertently delivered to the poor fellow who
12 was -- who had preceded me on the program.

13 (Laughter.)

14 So let's just say I was glad that
15 the timing -- that the program was running a
16 little bit behind, and, as you all know,
17 timing is everything. But I may also think
18 twice about ordering balloons for my kid's
19 next birthday party.

20 (Laughter.)

21 The very important point that I
22 think these protesters missed is something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that you all know very well, which is that we
2 rely on coal to meet our vast energy needs.
3 Put another way: I don't think anything our
4 country uses 1.1 billion tons of in a given
5 year is going to go away any time soon.

6 So clearly the better and the,
7 frankly, inescapable answer is to find ways to
8 use this abundant resource more cleanly and
9 efficiently. And you all know this. In fact,
10 it's the topic of the study that you have just
11 completed, "The Urgency of Sustainable Coal."

12 As I was sitting here, I was
13 leafing through my pamphlet, and I saw that
14 it's a very thick and comprehensive report,
15 which will undoubtedly have a lot of
16 worthwhile pieces in it for the Department to
17 consider. And over the last five years, the
18 Council has submitted a series of reports to
19 the Secretary outlining how the U.S. can use
20 coal to solve some of our nation's most
21 pressing energy needs.

22 We at the Department appreciate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thoughtful insights you have provided, and we
2 look forward to studying this particular
3 report. The premise, of course, is that while
4 coal plays a critical role in meeting both our
5 domestic and global energy needs, the burning
6 of this tremendous resource for electricity
7 generation results in the release of
8 emissions, including CO2, which contributes to
9 climate change.

10 And the topic is, appropriately I
11 believe, generating a lot of discussion among
12 policymakers and politicians alike. All three
13 remaining Presidential candidates are talking
14 about cap and trade bills. The Senate is
15 slated to take up climate change legislation
16 at the beginning of June.

17 And Congress is doing what they do
18 especially well: calling hearings. The
19 Secretary is testifying this morning, in fact,
20 about what will and won't work to increase our
21 energy security and reduce greenhouse gas
22 emissions. That's in front of Congressman

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Markey's committee over on the House side.

2 And Howard Groenspecht is the
3 Deputy over at the Energy Information
4 Administration, testified yesterday about an
5 analysis the EIA recently completed of the
6 Lieberman-Warner proposal.

7 EIA looked at a number of scenarios
8 when evaluating that proposal, including a
9 case that assumed the availability of advanced
10 technology in 2030 -- advanced technology
11 including nuclear and carbon capture and
12 sequestration -- as well as a case that
13 assumed limited availability of that
14 technology.

15 The analysis showed that without an
16 aggressive push forward on these advance
17 technologies the legislation could result in a
18 cumulative negative impact on our economy of
19 between \$530 billion to \$1.5 trillion in
20 current-year dollars, and a potential loss of
21 up to a million jobs.

22 And according to that EIA analysis,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if the nuclear and carbon capture and
2 sequestration technologies are not deployed,
3 electricity prices could increase up to 65
4 percent by 2030, and gasoline prices could go
5 up as much as an additional dollar per gallon,
6 and that's in today's dollars.

7 Even if the emissions targets of
8 the bill were fully met by the U.S., without
9 the rest of the world's commitment to address
10 climate change, our actions by themselves
11 would barely make a dent. One need look no
12 further than China, which is building a new
13 coal powerplant at an astounding rate of one
14 per week, to understand the magnitude of the
15 issue at hand and the compelling imperative to
16 act.

17 The President, of course,
18 recognizes this. On a global scale, we are
19 identifying solutions through the major
20 economies meeting process, which I know Jim
21 Connaughton will address in greater depth a
22 little later in your program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And Jim has some very interesting
2 slides which he'll be presenting, or I assume
3 he'll be presenting, which would show, really,
4 what the magnitude of the task is in front of
5 the world and the scale of what we need to do,
6 and also tries to show what happens if the
7 U.S. takes some action but the rest of the
8 world doesn't. So it's -- they are very
9 interesting slides.

10 On a domestic level, the President
11 announced just a few weeks ago a new national
12 goal to stop the growth in U.S. greenhouse gas
13 emissions by 2025. That's a necessary
14 endeavor, but the question still remains: how
15 do we do it?

16 One answer is clear. The
17 development, commercialization, and the use of
18 new, lower-emission technologies for fossil
19 fuels must continue to advance. Since 2001,
20 this administration and Congress have invested
21 more than \$2.5 billion in clean coal research
22 and development.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The President's FY2009 budget
2 requests \$648 million for the Department's
3 advanced coal research, development, and
4 demonstration program, which is the largest
5 amount requested for our coal program in more
6 than 25 years. And with private sector
7 matching funds over a billion dollars should
8 be invested in advancing clean coal technology
9 next year.

10 But money isn't the only solution.

11 As we all know, advanced coal technologies
12 have major regulatory hurdles that must be
13 overcome before they can be widely deployed.
14 That is why we at the Department are working
15 closely with EPA to increase regulatory
16 certainty with regard to the siting and
17 operation of carbon capture and storage
18 projects.

19 What I'd really like to talk about
20 today is what we are doing to advance the
21 technologies themselves, and I'd like to
22 highlight four things: regional partnerships,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 FutureGen, a loan guarantee program, and
2 international collaboration.

3 First, the Department's regional
4 carbon sequestration partnerships. As you
5 know, in 2003, the Department launched
6 regional carbon sequestration partnerships to
7 facilitate the development of the
8 infrastructure and knowledge base needed to
9 place carbon sequestration technologies on the
10 path to commercialization.

11 During the first phase of the
12 program, seven partnerships consisting of
13 organizations from government, industry,
14 academia, and extending across the United
15 States and Canada, conducted an assessment of
16 the CO2 storage capacity in this country.

17 Demonstrating the tremendous
18 potential of CCS technologies, these
19 partnerships preliminarily identified
20 underground geologic formations across the
21 U.S. with the potential to sequester and store
22 more than 600 billion metric tons of CO2, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equivalent of more than 200 years of emissions
2 from energy sources in the U.S.

3 In the program's second phase, the
4 partnerships implemented a portfolio of small-
5 scale geologic and terrestrial sequestration
6 projects. The purpose of these tests was to
7 validate that different geological formations
8 have the injectivity, containment, and storage
9 effectiveness needed for long-term
10 sequestration.

11 The third phase of the program, the
12 deployment phase, was initiated last fall, and
13 that's what we're currently working on. Six
14 of the seven partnerships have now been
15 announced, with the seventh expected this
16 summer.

17 These partnerships are working on
18 large volume testing -- that is, one million
19 or more tons of CO₂ -- intended to demonstrate
20 the feasibility of CO₂ capture,
21 transportation, injection, and storage, at a
22 scale comparable to future commercial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 deployments.

2 We believe these projects hold
3 tremendous promise, and experts around the
4 world agree we're on the right track. For
5 instance, the IEA greenhouse gas R&D program
6 recently conducted a technical review of this
7 deployment phase of the partnership program.

8 This expert panel found it to be an
9 excellent program -- their words -- that
10 should achieve significant results for carbon
11 capture and sequestration in the U.S., Canada,
12 and internationally. The panel recommended
13 that the program and all of the projects
14 reviewed should be implemented immediately.

15 Second, FutureGen -- the Department
16 is also committed to demonstrating cutting
17 edge carbon capture and storage technology at
18 multiple commercial-scale coal plants through
19 this project. As you know, earlier this year
20 we announced a restructured approach for the
21 project.

22 The focus remains the same as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 original approach announced in 2003 -- to
2 maximize our national investment in clean coal
3 research through demonstration of cutting edge
4 system integration. The difference is that
5 under the restructured program our plan aims
6 not just to support a single large-scale R&D
7 testing laboratory, but rather to provide
8 funding for commercial demonstration of
9 integrated advanced CCS technologies.

10 To move this restructured FutureGen
11 program forward and ensure commercial
12 operations are possible by 2015, the
13 Department has launched an aggressive schedule
14 for its implementation. Several weeks ago we
15 announced a draft funding opportunity
16 announcement to allow prospective applicants
17 an opportunity to provide additional input
18 before we release the final solicitation this
19 summer.

20 The comment period for this FOA
21 closed yesterday, and we will now be carefully
22 evaluating the input that we receive.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Third, loan guarantees -- this
2 program plays a significant role in spurring
3 clean coal innovation. Later this summer, the
4 Department intends to issue a solicitation for
5 up to \$8 billion in loan guarantees for
6 advanced fossil energy projects. This would
7 mark the third round of solicitations for our
8 loan guarantee program, which, as you know,
9 encourages the development of new, clean
10 energy technologies.

11 As part of an earlier round of
12 solicitations, pre-applications were
13 submitted, and 16 projects, including three
14 advanced fossil energy projects, were selected
15 to submit full applications. We're in the
16 process of now receiving and evaluating those
17 applications.

18 Projects supported by loan
19 guarantees will help fulfill the President's
20 goal of reducing our reliance on foreign oil
21 by diversifying our nation's energy mix and
22 increasing energy efficiency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Fourth, international collaboration
2 -- while the U.S. must play, and certainly is
3 playing, a leading role in the advancement of
4 carbon capture and storage technologies, other
5 countries are also taking action.

6 To maximize the benefits of our
7 individual efforts, we are sharing data and
8 lessons learned through the Carbon
9 Sequestration Leadership Forum, formed in 2003,
10 which held its regular annual meeting last
11 month in Capetown, South Africa -- and Jim
12 attended on behalf of the Department and has
13 played a leading role in that forum.

14 I also recently attended the
15 International Energy Forum in Rome, where CCS
16 technologies were being discussed both at the
17 ministerial itself and also informally on the
18 sidelines of the meeting. There is no doubt
19 that advancing these technologies is a topic
20 of global interest.

21 Through our regional carbon
22 sequestration partnerships, our restructured

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 FutureGen project, our loan guarantee program,
2 and our global collaboration efforts, as well
3 as our ongoing work under the Clean Coal Power
4 Initiative and our clean coal R&D program, the
5 Department of Energy's commitment to
6 fulfilling the promise of clean coal
7 technology is clear.

8 There is no doubt that our
9 challenge to meet rapidly-increasing energy
10 demand in an environmentally responsible way
11 is formidable. But with your continued
12 support, we can build on the successes we have
13 achieved, and ensure that coal will be an
14 environmentally safe and plentiful source of
15 energy for the United States and the world
16 well into the future.

17 And when we reach that goal, we
18 won't have to worry as much about any
19 protesters.

20 (Laughter.)

21 Thank you very much.

22 (Applause.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR NELSON: If there are any
2 members who have a question, you are welcome
3 to ask. Over here.

4 MR. BECK: Please identify yourself
5 for the purposes of the record in the Court
6 Reporter's eye.

7 MR. ALI: Sy Ali with Clean Energy
8 Consulting. Mr. Secretary, when do you expect
9 the CCPI Round 3 to take place?

10 MR. KUPFER: We are -- in terms of
11 a specific date, I don't -- I don't have that
12 for you. But we are actively looking at when
13 we will go out with that solicitation. I
14 don't know if Jim has a more definitive
15 answer.

16 MR. SLUTZ: We are -- there are
17 some issues, you know, to work through in the
18 procurement process, but it will be -- what
19 we're targeting is to get it out this fiscal
20 year, which is before September.

21 MR. BECK: Other questions or
22 comments for the Deputy Secretary?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (No response.)

2 Great. Okay.

3 MR. KUPFER: Thank you very much.

4 MR. BECK: Thank you very much,
5 Jeff.

6 (Applause.)

7 CHAIR NELSON: Okay. I'd like to
8 move on to Council business and the
9 presentation, discussion, and action on the
10 new draft study that the Council has been
11 working on. Many of you have put in countless
12 hours and lots of effort in this regard.

13 The study has been in progress
14 since last October. The title of the study is
15 "The Urgency of Sustainable Coal," and to lead
16 that discussion is the Council's Coal Policy
17 Committee Chairman Fred Palmer.

18 I believe Fred will be assisted by
19 several of the lead authors, and this -- as
20 you know, the production and publication of
21 these studies is the most important effort and
22 product of this Council. So we thought we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would take some significant time this morning
2 to discuss this study.

3 Fred?

4 MR. PALMER: Thank you, Madam
5 Chair. It's an honor for me to be in front of
6 you today to present to you for consideration
7 the proposed study.

8 Before I start, there is someone in
9 the room I think we should acknowledge. Tom
10 Kraemer is with us today, and Tom was the past
11 Chair of the National Coal Council and it was
12 on Tom's watch that I actually became the
13 Chair of the Coal Policy Committee. And I
14 presume Tom had something to do with it. And,
15 Tom, they haven't been able to get rid of me
16 yet. So please stand, and a round of applause
17 for Tom.

18 (Applause.)

19 This is not showing up on my
20 screen. Is there some other function that we
21 need to push here? You can just tell me from
22 back there. I'm afraid to push it, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'll blow it up. Thank you.

2 Before I start, I would like to
3 acknowledge people that contributed to this
4 study. The study lead authors were Mike
5 Durham, Janine Midgen-Ostrander, Janos Beer,
6 Sy Ali, Dick Bajura, Frank Burke, Roger
7 Bezdek, and Fred Eames. I also want to give
8 special thanks to Frank Clemente for the hard
9 work that he has done, just in the last three
10 weeks, in making sure that we have a
11 professional product that we are submitting to
12 the Secretary.

13 Also, I would like the record to
14 note that there were approximately 50 people
15 that contributed to this report, and the
16 report was put together over a period of
17 months. A lot of hard work and effort went
18 into it, and when I am finished with this
19 brief overview of the report, I will ask the
20 Chair for appropriate action to take the --
21 submit the report to the Secretary.

22 Also, before I start, I want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thank the Secretary. I want to thank Jeff,
2 who is not yet confirmed, for his leadership
3 in getting us to this point today, and
4 Secretary Bodman for the leadership that he
5 has shown in these very contentious energy
6 issues that preoccupy Washington, D.C. from
7 time to time, including right now.

8 And I have every confidence that we
9 will be able to work together going forward to
10 do the right thing for the American people in
11 the energy arena. I would include in that
12 category Jeff being confirmed by the United
13 States Senate, and certainly I think all of us
14 that have friends in the Senate should work to
15 that end. So I want to applaud Jeff's
16 comments here this morning and leadership that
17 DOE is showing with respect to energy issues.

18 We have with us today Bob Beck, our
19 Executive Director; Georgia Nelson, our Chair;
20 Mike Mueller, our Vice Chair; all of whom
21 played important roles in bringing us to this
22 point with respect to this study. And I want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to thank them and applaud them for their
2 leadership.

3 To remind everybody of our mission
4 of the National Coal Council, we are here to
5 provide Secretary of Energy basically with
6 advice and policy guidance, which is a little
7 bit presumptuous, but certainly advice, which
8 we are not too reluctant to advance from time
9 to time.

10 The members are appointed by the
11 Secretary. The membership includes a very
12 broad spectrum of interest and experience,
13 including coal producers and users,
14 transportation providers, barge rail and
15 truck, academic, equipment manufacturers,
16 state governments, consumer groups,
17 consultants, which are fairly ubiquitous in
18 Washington, D.C., and elsewhere -- I say that
19 with respect -- and Native American tribes.
20 So we are proud to be a part of this very
21 large and effective group -- the National Coal
22 Council.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think the record has shown over
2 the past several years that the NCC has come
3 forward with recommendations of some balanced
4 policies for energy, economic, and
5 environmental security. A series of the
6 reports -- the series of reports that we have
7 provided sets forth a systematic technological
8 and regulatory path to cleanly and efficiently
9 realize the full potential of our domestic
10 coal resources.

11 This study, "The Urgency of
12 Sustainable Coal," is responsive to the
13 Secretary's letter request of last year
14 focusing on clean coal technologies to further
15 U.S. environmental goals while advancing the
16 broader use of coal.

17 The report extends recommendations
18 in earlier reports for carbon management
19 technologies, legal and regulatory issues,
20 and, specifically, a framework for carbon
21 capture and storage; hybrid electric vehicles,
22 which is a new subject; coal gasification,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which is not; coal-to-liquid and coal-to-gas
2 technologies, which are not, but you will find
3 in here a chapter on underground coal
4 gasification, which is new, and an addition to
5 the -- particularly the February or the March
6 2006 study that we will discuss very briefly.

7 As I indicated, the report features
8 input from dozens of members with eight
9 significant findings and 11 major policy
10 recommendations. So we are in a controversial
11 business that is in the news every day from --
12 for one reason or another. And you read
13 various things about coal, including
14 statements in the financial press about coal
15 being a dirty fuel, that people would wish
16 would just go away, in the words of one very
17 astute analyst the other day, forgetting that
18 coal is not only not going to go away, we are
19 going to use more of it for the reason you are
20 looking at -- that we have it, and people need
21 it, because people need energy as they need
22 air and water and food, to live their lives,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to grow our economy, to have a higher quality
2 of life for current Americans and future
3 Americans, for our children and their
4 children, and that is a fact.

5 It is why we are all in the room
6 today, and there are some of us that are
7 perverse enough to actually like being in the
8 business. And I am one of them, and I am
9 proud to have made my career in coal. And I
10 look forward to advancing the cause of coal as
11 we go forward.

12 And the recent energy events over
13 the last two years, since we issued our March
14 2006 report, shows that while there are -- may
15 not be many in Washington, D.C. that
16 understand energy, the members of the National
17 Coal Council are not in that group, because
18 since that time -- and that report had a fair
19 note of urgency in it -- oil prices have
20 managed to hit \$135 a barrel, at least at one
21 point this morning, up from \$56 when we issued
22 that report, \$85 just at the beginning of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 year.

2 You will see on page 1 of The
3 Washington Post Business Section this morning
4 a head-scratching article on why oil prices
5 are where they are, concluding everything but
6 the obvious, and that's there is more demand
7 than there is supply. LNG prices in the \$12
8 to \$18 an mcf range are led by rising demand
9 from Asia and Europe, and you can expect U.S.
10 prices to go there, because LNG is going to be
11 our price-setter for natural gas in the United
12 States. And LNG is going to be priced off
13 oil, because LNG, in many parts of the world,
14 is a substitute for oil.

15 And oil production, as we discussed
16 back in 2006, has stagnated, and the world top
17 10 producers -- places like China, Norway,
18 Mexico, Russia, and the U.S. -- face
19 depletion. The Middle East remains an enigma,
20 but because of the lack of clarity in terms of
21 where they in fact are on their ability to
22 produce oil, and specifically Saudi Arabia,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but nobody has come forward to rebut Matt
2 Simmons, who has been saying that we are peak
3 oil since oil was at \$30, \$40, \$50, \$60, \$70,
4 \$80, \$90, and \$100 plus a barrel, and
5 everybody in the world disagreed with him, and
6 yet it keeps going up.

7 I saw a note the other day about a
8 bet that I didn't realize that Mr. Simmons had
9 made with a financial journalist about oil in
10 the year 2010. And Matt is on the side of the
11 bet that says oil will average \$200 a barrel
12 in 2010. And when he entered into that bet
13 with this financial journalist, oil was at \$50
14 a barrel or \$60, in 2006.

15 So I think the financial journalist
16 may think he is still going to win the bet,
17 but he has to have a thought in his mind as to
18 whether that, in fact, is right.

19 Energy production costs have risen
20 everywhere due to equipment and labor costs,
21 and a lack of easy energy, and of course the
22 increased ethanol production has coincided

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with increased world corn and food prices. Is
2 there a cause and effect? The ethanol
3 producers say no, and the corn producers say
4 no. Others say yes, I don't know, I do know
5 that expensive and scarce food is as bad an
6 idea as scarce and expensive energy.

7 And here is a fact that does not
8 get discussed here or anywhere else, as we
9 argue about new coal plants in the United
10 States, as we argue in Kansas, for example, on
11 whether we ought to put in 3,000 megawatts of
12 supercritical pulverized coal.

13 Around the world, there is 660
14 gigawatts of coal-fueled power either planned
15 or in development, stated another way 660,000
16 megawatts, that will lead to increased coal
17 burn of 2.3 billion tons a year, within the
18 next five to 10 years and maybe shorter time
19 than that. Stu Dalton and I were in China
20 last week visiting Inner Mongolia coal mines
21 and powerplants, and at an IEA Coal Industry
22 Advisory Board meeting. Some of you got e-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mails from me at 3:00 in the morning, but that
2 was because I was on China time.

3 And an unnamed equipment
4 manufacturer who was with us at that meeting,
5 that does a lot of business in China, says
6 that China this year is at 2.6 billion tons of
7 coal demand, and they have them down for 3.5
8 billion tons of coal production and demand in
9 2010, or just over two years from now.

10 So, anyway, a lot of coal is going
11 to be used everywhere else but in the United
12 States, and I think in the United States, too.

13 And it's not just China and Asia, by the way.

14 The European Union is putting in new coal,
15 even as they lecture us about the lack of
16 energy and carbon policies.

17 Access to low-cost electricity from
18 coal is the solution for energy property, and
19 that's why the world has turned to coal,
20 because of scarcity in oil and natural gas and
21 because the world has coal. And every single
22 one of the U.N.'s millennium development goals

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 requires access to electricity as a necessary
2 prerequisite, according to Global Energy
3 Network, and that is a fact.

4 In the report you will find the
5 following, and that's the 10 fundamentals that
6 the report is based on. Global demand for
7 energy is unprecedented. Seventy-five percent
8 of new energy demand will come from the Middle
9 East, China, India, and Asia.

10 The Middle East has 600 million
11 people. The Middle East economy is growing at
12 least as fast as anywhere in the world,
13 including China, and they are large consumers
14 now of their own product, which is another
15 reason why oil is where it is.

16 Fossil fuels provides 85 percent of
17 the world energy, and IEA and EIA both expect
18 that same level in 2030 -- optimistic energy
19 production forecasts, which may finally go by
20 the Board, but nonetheless have dimmed an
21 understanding of world supply challenges.

22 And even if we are not at peak oil,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when you have billions of people all of a
2 sudden demanding a product that everyone
3 relies on, and production can still go up, it
4 can't go up as fast as the increasing demand,
5 and that's why the evidence suggests that oil
6 and natural gas production cannot keep pace
7 with demand.

8 Coal is undeniably a cornerstone
9 future fuel based on supply, availability,
10 versatility, and, of course, carbon capture.
11 Again, here's a reference to the 660 gigawatts
12 of new coal planned or under construction
13 around the world.

14 Coal-to-liquid fuels and coal-to-
15 gas can alleviate emerging production
16 shortfalls, and even though particularly coal-
17 to-liquid is a controversial technology it is
18 one we absolutely have to have for aviation
19 and particularly for the military. I think
20 there are six -- six airlines have gone
21 bankrupt in the last two years since we issued
22 that March 2006 report. It's something we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 need to develop.

2 And, of course, all of this has to
3 be done, and we understand this, embrace it,
4 accept it, and discuss it, in the context of
5 clean coal technologies, which is carbon
6 capture and sequestration as a game-changer to
7 open up the full range of coal's potential.

8 The United States of course needs
9 additional coal-based generation, and it needs
10 it now, even in advance of carbon capture and
11 sequestration being available for deployment
12 in the form of ultra-supercritical pulverized
13 coal units. And while the pace of the
14 buildout has slowed down, that -- we
15 nonetheless need to go forward.

16 I was with the Chinese -- the
17 Ambassador to the United States from China
18 about three weeks ago, and I told him that the
19 U.S., like China, is a developing nation. And
20 he laughed, but it's true. And I think if --
21 on reflection he would agree with that,
22 because we -- our population is increasing,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and we are headed to 365 million by 2030.
2 I've seen estimates at the high end of -- high
3 range of 500 million people by 2050. So more
4 people needs more -- need more energy even as
5 we use energy in a wiser, more efficient way.

6 GDP of course will grow
7 commensurate with that. Technology
8 innovations, however, are expected to place
9 significant burden on the electricity
10 infrastructure. We need electricity to grow
11 the economy, as we always have. Electricity
12 being what it is, people are going to use
13 more. So we will need 230 gigawatts of new
14 U.S. generation by 2030, 43 percent of which
15 will come from coal according to EIA.

16 Reliability is an issue.
17 Reliability is an issue. And in the next two
18 to five years, we may see some very
19 substantial negative consequences associated
20 with inadequate reliability around the
21 country, particularly in fast parts -- fast-
22 growing parts of the country.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The NERC numbers on reliability are
2 not given the attention that they deserve in
3 Congress when climate change policies are
4 debated. People who have called for a
5 moratorium on the build of new coal plants in
6 advance of carbon capture and sequestration
7 deployment ignore the reliability issues that
8 we have.

9 If we don't put this generation in
10 -- and by the way, the NERC new capacity
11 generation has pulverized coal in it. If we
12 don't put it in, electricity will be scarce
13 and expensive. Period, finished, end of
14 story. We will have gone into it with eyes
15 wide open, because the metrics are clear, the
16 message is clear, the path we are on is clear,
17 until and unless we deploy this generation.

18 And if we cap coal, LNG becomes the
19 default fuel and puts U.S. electricity
20 generation at risk. I have friends and
21 colleagues in the oil and gas industry that
22 believe that we are -- and that I am

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 personally -- anti-LNG. I am not. LNG is the
2 default fuel because of the way the system is
3 set up and what is going on around the world.

4 That is a business fact.

5 The powerplants are there, the
6 pipes are there, the ports are there, the
7 regasification facilities are there. The fuel
8 will come in on the boats if we are willing to
9 pay. That means we're going to pay a lot.
10 And if we don't grow the coal base, more of
11 that is going to come in. It's going to come
12 in at a very high price, and electricity
13 prices are going to be keyed off, in the
14 United States, the price of oil in foreign
15 markets, whether that's \$150 or \$160 or \$170
16 or \$200 a barrel.

17 And those prices go from not \$11 an
18 mcf, which is where gas is today, which is
19 very, very expensive, but from \$17 to \$18 an
20 mcf all the way up to \$28 to \$30 an mcf, which
21 means electricity in the United States, the
22 marginal cost, will be in the high teens or in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the low twenties or mid-twenties, if we go
2 this LNG path.

3 That's not hostility LNG. We need
4 it. It is a business fact if we cap coal, the
5 default fuel becomes LNG.

6 Chapter 1 -- the realities of
7 energy in the United States. Coal is our --
8 is America's greatest energy resource. Clean
9 coal technologies work, but take time to
10 develop. More electricity needed for growing
11 U.S. population. We need new supplies of oil
12 and natural gas from domestic resources. We
13 need new coal-based generation.

14 Global supply of oil and natural
15 gas is inadequate to meet world oil demand.
16 Global energy demand is unprecedented. Scale
17 of energy demand is beyond our experience.
18 New players are entering in the game, as I
19 discussed, and the world is turning to coal,
20 as I discussed.

21 Chapter 2 -- carbon management and
22 technology options. We set forth in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 report -- or the report sets forth a multi-
2 step process to near zero emissions. That
3 includes building new, efficient,
4 supercritical, and IGCC coal plants today.
5 The supercritical coal plants are 15 percent
6 more efficient with lower CO2 emissions.

7 The next step is to demonstrate
8 IGCC and carbon capture and sequestration
9 technologies, as Jeff discussed here today,
10 that DOE is working so hard on. We do have a
11 disagreement on FutureGen. That's fine.
12 You're allowed to disagree when you're
13 friends.

14 DOE is a friend, and is supporting
15 carbon capture and sequestration technology
16 deployment and development, and we applaud
17 them for that. And then, the next step is to
18 retrofit the existing coal-based generation
19 with carbon capture and sequestration.

20 The Europeans understand this. The
21 Europeans are building ultra-supercritical
22 pulverized coal. As I stand here today, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are doing that. The Europeans talk about
2 developing carbon capture and storage
3 technologies that they will require deployment
4 after 2020. It's in their plan; they
5 understand it.

6 That's not in our plan, apparently.

7 Apparently, we say we're not going to have
8 any new coal plants until and unless CCS is
9 deployed. That may be never, because you
10 would get into a completely total litigious
11 environment on CCS. So we need to follow this
12 path, and the report sets that forward.

13 Carbon management technology
14 options -- the draft points to advanced
15 emission control technologies have improved
16 criteria emissions by 90 percent, or reduced
17 them by 90 percent over 30 years. It talks
18 about retrofit technologies as offering
19 potential for reducing CO2 emissions from
20 existing plant.

21 It talks about improvement in
22 supply side efficiency for near- and long-term

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CO2 reductions and advanced coal powerplant
2 technologies with CO2 capture and storage as
3 being crucial for lowering emissions and
4 global CO2 levels through the deployment of
5 new plants.

6 The recommendations are to advance
7 a portfolio of technology options for electric
8 power industry, remove regulatory hurdles, and
9 streamline new source review, create
10 congressional funding for large demonstrations
11 in multiple regions using multiple
12 technologies, and build technology transfer
13 through trade associations and federal
14 agencies to emerging nations such as India and
15 China.

16 Just a side bar here -- when Stu
17 and I were -- again, when we were in China,
18 Shenwa -- we saw a CTL plant being developed
19 by Shenwa, which I'll talk about when we get
20 there. But also, the GreenGen project is
21 going forward, which Peabody is a partner to.

22 And GreenGen is going to be up and running in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 two years. That's their version of FutureGen.

2 And within three to five years after that, I
3 think Victor will be capturing and
4 sequestering CO2.

5 So the thought occurred to me that,
6 you know, we've got this number 4 bullet here.

7 We're going to transfer technology to them.
8 Maybe they will be transferring it to us. And
9 so we will be licensing GreenGen technologies
10 for the U.S., and from my standpoint, you
11 know, that's fine with me.

12 But in any event, that's -- those
13 are our recommendations.

14 Chapter 3 talks about the legal and
15 regulatory dimensions of carbon capture and
16 storage. And we do have centuries of storage
17 for CO2; there is no question about it. And I
18 think the -- we have to prove this out and
19 show what -- I personally believe that the
20 problems associated with CCS are overstated.

21 We know how to do it; we know it's
22 there. I don't think the liability issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 should be that big a deal. It's not like when
2 some CO2 seeps out of the ground it's a toxic
3 that's going to -- that's going to do bad
4 things. Obviously, you want it to be in a
5 mode where you don't have leakage, and that's
6 what we're proving out. But we know how to do
7 it; we need to get on with doing it.

8 The legal and regulatory dimensions
9 of carbon capture and storage are one of the
10 things that hold us up. But I think, you
11 know, FutureGen at Mattoon has been advanced to
12 a stage where it really is ready to go. I
13 mean, you have a fully vetted site that --
14 under NEPA that was looked at in about 18
15 different ways, and you could go out there
16 tomorrow and put in a sump project and start
17 storing CO2 in the Illinois Basin deep saline.

18 Of course, CCS must be demonstrated
19 at large coal-fueled powerplants, and we do
20 need a legal regime to encourage development
21 and speed project approval. And those are not
22 -- those are easy things to say. They are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hard things to do in terms of getting policies
2 in place, but we need to work at it. And so
3 our policy recommendations in Chapter 3
4 support development with clear legal and
5 regulatory framework to support development,
6 define the risks, and assign under single
7 liability regime.

8 Chapter 4 -- this is new, plug-in
9 hybrid vehicles and coal-fueled powerplants
10 with carbon capture and storage. How cool is
11 that? So you wouldn't have a lot of CO2
12 emissions in that environment, would you? You
13 would eliminate the CO2 emissions from the
14 vehicles.

15 And, of course, with a FutureGen
16 type, or a GreenGen type powerplant, you'd
17 have 90 percent carbon capture and storage.
18 Sounds like near zero emissions to me, and you
19 can be in a carbon-free environment going
20 forward.

21 So -- and that I think is the
22 Tesla. I admit to liking cars, and I like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fast cars. And this car apparently is pretty
2 fast. I talked to somebody that rode in it,
3 and they said it was cool. But someone else
4 said it has 80 batteries in it, so it may not
5 be real efficient, but -- from a battery
6 standpoint. I don't know.

7 But I do know that we have the
8 ability to go to plug-in hybrids, and I do
9 know we have the ability for coal-fueled
10 powerplants with CCS. And I do know in that
11 environment CO2 is off the table as a long-
12 term concern.

13 So plug-in vehicles using liquid
14 fuel in a more -- and electric motor for
15 power, producing 60 percent less greenhouse
16 gases compared to conventional vehicles,
17 replacing 60 percent of light- and medium-duty
18 vehicles would reduce gas consumption nearly
19 four million barrels per day by 2050 -- some
20 very positive things there.

21 Electricity for fleet of plug-ins
22 could be met by existing generating capacity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 during initial introduction. A 600-megawatt
2 powerplant could generate enough electricity
3 to supply two million plug-ins. It would be a
4 good business to be in, making the plug-ins
5 for Detroit.

6 Since the introduction in 1999
7 through 2006, 650,000 hybrid electric vehicles
8 have been sold in the United States, including
9 one to Greg Boyce, the CEO of Peabody Energy,
10 who drives a hybrid. I'm not going to tell
11 you what the horsepower is on the hybrid, but
12 it is a hybrid.

13 (Laughter.)

14 Timing for deployment creates
15 demand for new coal-fueled powerplants needed
16 in the 2020/2030 timeframe. The
17 recommendations in this space advance R&D on
18 coal-based electricity generation and CCS
19 technologies to ensure the electricity needed.
20 Reduced costs and improved performance,
21 durability, and safety of batteries through
22 greater research for the cars, use incentives

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to deploy advanced coal-based electricity
2 technologies coordinated with plug-in hybrids
3 and electric power trains.

4 Liquids from coal -- coal-to-
5 liquids. We have to do this. Now, we're
6 going to have an industry in the United
7 States; we are. I know they're going to have
8 an industry in China, because we stood on a
9 block overlooking a complex being put in by
10 Shenwa, near Shendong, Inner Mongolia, China.

11 There was a 200-megawatt
12 powerplant, an air separator, a shell
13 gasifier, a coal refinery, and the tanks for
14 the products. So when I saw the tanks for the
15 products I said, "I think they're serious,
16 because you wouldn't really put the tanks for
17 the products in if you didn't think you were
18 going to have a product."

19 So I asked, "When are they turning
20 it on?" and the answer is, "September of this
21 year." And it's going to be 55,000 barrels
22 per day of product ultimately. The first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 train will be 17,500 or something like that,
2 going to three trains at that location. They
3 are looking at carbon capture and storage, but
4 they don't have it in their game plan yet.

5 The all-in cost of that project,
6 the three trains combined, will be under \$3
7 billion. They put their break-even at \$40 a
8 barrel. That number is going to be 60 percent
9 or so higher in the United States, because of
10 higher labor costs, longer permitting time,
11 etcetera. And also, they did have historic
12 steel prices in there, because the thing has
13 been in for two years. But nonetheless,
14 they're doing it, and their long-term
15 strategic plan is for 20 of those units. So
16 they're going to do it.

17 So, Victor, along with licensing
18 GreenGen, we're going to license CTL from
19 Shenwa. And I've seen the future of energy,
20 and it's in Inner Mongolia.

21 You have been -- we have been
22 through these things before, and I'm not going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to belabor the point on the availability of
2 oil. But anyway, coal-to-liquids has a 60-
3 year world history. CTL with CCS emissions
4 are comparable to life cycle gasoline and
5 diesel, and I think one of the Nettle studies
6 actually said that they are superior.

7 There is no doubt that you'd get an
8 ultra clean diesel fuel, which we desperately
9 need, with 99 percent less sulfur, and there
10 is no doubt that the United States Air Force
11 needs coal-to-liquids, as does the civilian
12 aviation industry. There is no doubt of that.

13
14 Greg Boyce has also made the
15 comment that the only thing in the world
16 capable of defeating the United States Air
17 Force is lack of fuel. So we need that fuel,
18 if for no other reason.

19 The policy recommendations on coal-
20 to-liquids are the same found in the March
21 2006 study. I am not going to reiterate those
22 here because of the -- in the interest of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 time. They are set forward there.

2 Federal funding of long-term
3 military CTL contracts and support Department
4 of Defense total energy development program.
5 Actually, we're making some progress on that.

6 And the interest in CTL around the
7 country remains very strong. We are going to
8 have an industry. It is going to take more
9 time here than in China, but it's going to
10 come.

11 Underground coal gasification is
12 new. We did not have this in the March 2006
13 study. It was around then. We just -- you
14 know, we didn't have it. When I talked to
15 some of the mining engineers I hang around
16 with, I said, you know, why don't we think in
17 those terms? The answer then was that there
18 is just sort of this inherent idea around that
19 it's a bad idea to start a fire underground in
20 a coal seam, which is a reasonable way to
21 think I think.

22 But as you look at it and study it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and you can see that there are places where
2 underground coal gasification works quite
3 well, there is no doubt it's a very elegant
4 and simple and economic solution, if you can
5 find those places.

6 And there is no doubt it means a
7 greater resource recovery, because of the --
8 if you can find the geologies in places where
9 you otherwise would not be mining coal because
10 of the economics associated with it.

11 Twenty-first century economic and
12 environmental demands require an expanded role
13 for commercial UGS development. This is
14 Chapter 6. Process converts coal into syngas
15 through same chemical reactions that occur in
16 surface gas fires.

17 UGC can create electropower,
18 chemical feedstock, liquid fuels, hydrogen,
19 and synthetic gas. Technology for developing
20 countries undergoing rapid economic expansion,
21 including China and India, is there, and
22 allows beneficial use of otherwise uneconomic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 coal reserves.

2 The recommendations -- create
3 substantial federal research program with
4 institutions, universities, and industry.
5 Conduct field demonstrations to assess pilots
6 and advance development. Implement three- to
7 five-year research program to provide
8 technical background to encourage investment,
9 create standards for siting and operation of
10 UCG facilities, investigate how in situ
11 gasification can reduce the cost of syngas
12 production and CCS, and engage the Department
13 of Energy to develop briefings materials and
14 public outreach programs.

15 Chapter 7 -- turning coal into
16 pipeline quality natural gas -- again, a
17 subject that we did cover in the March 2006
18 study. I remain of the belief that this is
19 the low-hanging fruit for the United States in
20 energy. Coal -- to substitute natural gas
21 with carbon capture and sequestration, because
22 the facilities are sitting on the ground, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 250,000 megawatts of combined cycle natural
2 gas units built in the last now seven to eight
3 years, people keep putting them in.

4 Every time someone puts in another
5 natural gas plant, I say, "There's an expanded
6 market for SNG."

7 (Laughter.)

8 With CCS, of course, and I believe
9 that.

10 (Laughter.)

11 Four trillion cubic feet of gas
12 annually, by 2025, the same as we identified
13 in the 2006 study. USA Today did a story
14 yesterday on natural gas that talked about LNG
15 and pointed out the problems with LNG, and
16 then had a conclusion at the end of it not to
17 worry, that the unconventional gas plays like
18 Barnett Shale in the Dallas/Fort Worth area,
19 which was the focus of the story, would give
20 us \$6 to \$7 an mcf natural gas within two to
21 three years. Right.

22 So we don't have enough domestic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 production capacity to fuel the U.S. economy.

2 Will we get past -- above the 2000 -- or, I'm
3 sorry, the 1971 peak in natural gas production
4 in the United States? Maybe we do. Maybe we
5 get marginally above it. But Canadian gas
6 we're not going to have is going down, and the
7 -- again, to make up that gap, it's going to
8 be LNGs. And, of course, 80 percent of the
9 gas reserves are located in places like Russia
10 and Iran.

11 One other point here. Natural gas
12 produced from coal with CCS has a smaller
13 carbon footprint than LNG. Period, finish.
14 That is not hostile to LNG. That is a
15 business fact. It's a truth. So when we talk
16 about bringing in LNG into the United States,
17 out of concerns about carbon and using coal,
18 we ignore this fact.

19 SNG -- coal to SNG, with carbon
20 capture and sequestration, is the superior
21 answer to anything that natural gas can offer,
22 because it is going to be LNG on the margin.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Turning coal into pipeline quality
2 natural gas -- there are multiple
3 technologies, and we talk about those
4 different technologies in the study. This is
5 GreatPoint Energy. We also identified GE,
6 Siemens, Conoco-Phillips, and Peabody has a
7 relationship with Conoco-Phillips in Kentucky
8 to produce SNG. All of these are very
9 exciting technologies. All of them will be
10 deployed in some context at some point at
11 scale in my view.

12 Policy recommendations -- remove
13 barriers associated with development of coal-
14 to-gas projects for permitting, financing
15 risk, and carbon storage; develop tax credits
16 and federal loan guarantee incentives; make
17 additional funding available to accept
18 commercialization.

19 Madam Chair, that is the conclusion
20 of our overview of this report. Again, I want
21 to thank all the people that worked so hard on
22 this report, and to express my appreciation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the honor extended me to be allowed to
2 present this document to the full Council.

3 I would move adoption of the
4 Council -- of the report, and I'm sure you
5 will want to have time for discussion.

6 CHAIR NELSON: Do we have a second?

7 PARTICIPANT: Second.

8 CHAIR NELSON: Discussion?
9 Questions? Yes. Would you wait for the
10 microphone?

11 MR. PALMER: Hold on.

12 MS. MIGDEN-OSTRANDER: I'm Janine
13 Migden-Ostrander. I wanted to indicate that
14 as a result of the meeting -- policy meeting
15 in May, there were two other recommendations
16 that were added on the underground coal
17 gasification, which unfortunately didn't make
18 it into this copy but are going to be added.

19 And very quickly those
20 recommendations include a detailed engineering
21 analysis of each step of the entire process,
22 along with a detailed economic analysis of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 costs of the various steps. That was one
2 recommendation. The second recommendation was
3 to try to quantify the amount of unminable
4 coal and its ability to contribute to the
5 energy needs of this country. So --

6 MR. PALMER: Thank you. We will --

7 MS. MIGDEN-OSTRANDER: -- be aware
8 of that.

9 MR. PALMER: -- absolutely do that.
10 Over here.

11 MS. JOHNSON: Hi. Regina Johnson
12 from Platts. I was curious to -- what you
13 think you can do now in the meantime while
14 you're waiting for the new technology to come
15 on board or for the public to get around
16 accepting coal-fired powerplants in some way.

17 Prices for coal are going higher,
18 but you can't seem to get the plants building,
19 and permitting is being attacked at every
20 corner. So what do you do in the meantime?

21 MR. PALMER: Excellent point. I
22 think when we did the 2006 study their price

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 differential was gas was four times more
2 expensive than coal, and today it's five times
3 more expensive than coal. So the differential
4 is greater.

5 Natural gas today is more expensive
6 than coal is than it was in 2006, even though
7 the price for both have gone up and the price
8 pressures on natural gas, because of the
9 international situation and the linkage to
10 oil, means that the potential for natural gas
11 to explode in price from what has been a rapid
12 ramp is huge and something that you could see
13 this summer, where people are paying 60, 70,
14 80 percent more on the margin for electricity
15 than they are right now, depending on what
16 happens in these energy markets.

17 The second part of the question
18 with respect to coal permitting -- permitting
19 for new coal plants -- it is absolutely true
20 that people have pulled back from some coal
21 plants. It is not true that people have
22 pulled back from all coal plants, and there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remain some 70 to 80 million tons a year of
2 additional coal burn that is being installed
3 today in ultra-supercritical coal plants.

4 I think the -- as a national
5 imperative, to deploy increased electricity
6 generation to alleviate the reliability and
7 price problems that are facing the American
8 people, and that they don't have a full
9 understanding of what could happen, that we
10 need clear signals from the United States
11 Government that people will be allowed to go
12 forward with coal plants, even as they are in
13 Europe, a part of the world where they have
14 signed on to Kyoto, to get the people to pull
15 back from these coal plants to go forward with
16 the coal plants.

17 In the absence of that, I think we
18 are going to have to work our way through a
19 difficult electricity environment going
20 forward, even as we put in these additional
21 coal plants.

22 There is one all the way in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 back. Bob, there's -- all the way in the
2 back. Okay. Then Janice -- Janos, excuse me.
3 Okay.

4 DR. BEER: Janos Beer, MIT. I'd
5 like to make a comment about, what do we do in
6 the -- before the advent of carbon capture and
7 sequestration? Carbon capture and
8 sequestration, which is clearly the enabling
9 key technology, as you mentioned, sir, of
10 using coal, will be probably fully commercial
11 -- that is, without any subsidy -- around
12 2020, perhaps before hopefully.

13 But, in the meantime, there is --
14 the only practical and good practical way of
15 using coal is increasing the efficiency. And
16 there are important new technologies which can
17 do that. You mentioned in the -- in your
18 presentation that to go to supercritical steam
19 plant you can save 15 percent or 14 percent of
20 -- mitigate by 14 percent of the CO2 emission.

21 If we are looking a little bit
22 ahead of what is in the pipeline from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 point of view of R&D, there is a European
2 project which is going up to 700 degrees C
3 superheat, 1,300 degrees Fahrenheit, and this
4 one will go up to something like 18 or 20
5 percent efficiency change, and, therefore, a
6 saving of CO2 emission.

7 And further than that, there is a
8 United States development, which is 760
9 degrees C superheat, and this will go up to 33
10 percent carbon reduction, CO2 reduction. So,
11 therefore, I think in the meantime our most
12 important task would be to build high-
13 efficiency plants, as high as economics would
14 permit.

15 I would like to mention also that
16 building high-efficiency plants is very
17 important not only for the period before CCS
18 becomes commercial but even afterwards,
19 because it will certainly reduce the penalty,
20 the energy penalty, of the application of CCS.

21 So I think that this is a very
22 hopeful way of using more coal in the period

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and satisfying the electricity needs in the
2 period before CCS becomes commercial, and even
3 afterwards.

4 MR. PALMER: Thank you, Janos.
5 Great point.

6 MR. BECK: There was another
7 question in the back.

8 MS. LING: Hi. I'm Katherine Ling
9 with GreenWire. I was wondering if you could
10 comment a little bit more about -- you said
11 you disagreed with DOE on the FutureGen
12 project. And I was -- or the new restructured
13 FutureGen project. I was just wondering if
14 you could elaborate a little bit more, and
15 sort of with the new restructured program I
16 guess what you're hoping for or if you want --
17 are working to maybe save the original one.

18 MR. PALMER: Well, let me just say
19 very briefly in response to that, as a
20 complete answer, that we are for the
21 restructured program, and we are for FutureGen
22 at Matoon.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 CHAIR NELSON: Are there any other
3 questions?

4 MR. BECK: Hang on.

5 MR. REUTER: Fred Reuter, St.
6 Xavier High School. One of the comments
7 about, what do we do at present? It seems to
8 me that a good deal of problem is simply
9 people don't understand coal and its
10 potentialities.

11 If it were possible for us to
12 somehow get on front line, or a Nova
13 production, begin educating those people who
14 are interested primarily in the future of the
15 United States on an understanding level, this
16 then could be brought to people through
17 education, and so on. Just an idea.

18 MR. PALMER: I think that's a
19 spectacular suggestion, and I -- you know, I
20 have been doing this long enough to actually
21 stand here today and tell you that I co-
22 chaired a study of the National Coal Council

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in 1993 called Coals Image with a man named
2 Jack Mahaffey, who was the Chair of Shell
3 Mining, and we addressed that very thing. And
4 it's something we continually struggle with,
5 and it's -- your idea is something we ought to
6 pursue.

7 I think my time is up here. One
8 comment -- last comment over here to the
9 question of -- I think from Platts on the coal
10 pricing and natural gas pricing. When prices
11 go up this summer, it will be natural gas and
12 not coal.

13 The natural gas units are -- have a
14 small capital component, and -- this is in
15 their overall cost -- have a small capital
16 component, large fuel. That has always been
17 the attraction of natural gas is you could put
18 them in quickly, and there wasn't a lot of
19 capital associated with it. The primary cost
20 is fuel.

21 With the coal plants, it is large
22 capital, small part is fuel. Now, both -- in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fuel, for sure the price of a coal plant, when
2 the cost of coal goes up, it goes up. But in
3 percentage terms, the -- it is -- the society
4 is exposed to the marginal price of natural
5 gas, not the marginal price of coal.

6 And people, you know, are going to
7 confuse those things I know, but it is a fact
8 that the exposure we have is to the price of
9 natural gas, and more specifically foreign
10 natural gas, in the form of liquified natural
11 gas. And we're all about to get an economics
12 in energy lesson in the United States,
13 unfortunately.

14 Thank you very much.

15 CHAIR NELSON: Thank you.

16 (Applause.)

17 We have a motion and a second. All
18 in favor?

19 (Chorus of ayes.)

20 Thank you. We'll present the
21 report to the Secretary.

22 We have two items of Council

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 business, and then we'll take a short break.
2 I'd like to call on Rich Eimer, Chairman of
3 the Finance Committee, to give a quick report.

4 Rich?

5 MR. EIMER: Thank you, Madam Chair.

6 As the Council's Finance Committee Chairman,
7 I would like to report that the firm of
8 Chaconas and Wilson completed the 2007 audit
9 on April 29, 2008. The audit was conducted at
10 the Council's offices.

11 The audit concluded that the
12 Council conducted its financial business using
13 recognized, acceptable, and appropriate
14 financial practices, and approved the
15 Council's accounting procedures. The audit
16 was accepted by both the Finance Committee and
17 the Executive Committee at their joint meeting
18 yesterday. If any member would like a copy of
19 the report, they can request it from Council
20 staff.

21 I would also like to make one more
22 comment. The Executive and Finance Committees

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 continue to explore ideas to put this Council
2 on a solid financial footing. Your dues,
3 special contributions, reception support, are
4 all very much appreciated, and your
5 understanding will also be appreciated and
6 solicited as we go forward in addressing this
7 issue in the future.

8 This concludes my report. Thank
9 you, Madam Chair.

10 CHAIR NELSON: Thanks, Rich. Thank
11 you, Rich.

12 And I have been reminded that I
13 neglected to ask if there was anyone opposed
14 to the motion.

15 (Laughter.)

16 Is there anyone opposed?

17 (No response.)

18 If not, thank you very much.

19 And with that, Larry Grimes, the
20 NCC Secretary, has a quick report. Larry?

21 MR. GRIMES: I won't give my normal
22 welcome to new members talk today. But since

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we do have a few members, I would welcome any
2 questions you have about our procedures, our
3 structure, the way we work.

4 About every other year I give a
5 little more elaborate discussion of how we're
6 organized. And it is important for you to
7 understand that, because you're going to hear
8 reference to two organizations -- the National
9 Coal Council, which is what this body is, and
10 the National Coal Council, Inc., which is our
11 housekeeping organization, and that's where we
12 deal with our financial matters and make this
13 thing work.

14 In any event, I am always available
15 for questions, and I would welcome them.
16 Thank you.

17 CHAIR NELSON: Thank you, Larry.

18 Okay. We are running fairly tight
19 this morning, but I know it's time to take a
20 break. So if we could take a short 10 minutes
21 max break, that would be great. Very short.

22 (Whereupon, the proceedings in the foregoing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 matter went off the record at 10:06
2 a.m. and went back on the record at
3 10:13 a.m.)

4 CHAIR NELSON: Could I ask everyone
5 to please take their seats? We're ready to
6 reconvene. Thank you.

7 Bob, can we shut the doors in the
8 back? Thank you very much.

9 In the interest of time, I would
10 refer you to your report that is in front of
11 you. It does include all of our speakers
12 today and their bios. So I will briefly
13 introduce Dr. Ted Barna, who has a wide range
14 of experience. I would recommend that you
15 read his bio.

16 He previously worked in the Office
17 of the Secretary of Defense, Advanced Systems
18 and Concepts, also as an Assistant Deputy
19 Undersecretary of Defense. He spearheaded the
20 development of unconventional fuel resources
21 for DOD, termed the assured fuels program.
22 Many, many other accomplishments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Join me in welcoming Dr. Ted Barna.

2 (Applause.)

3 DR. BARNA: Well, good morning, and
4 thank you for allowing me to address you. Let
5 me just start out by saying I did in fact work
6 in the Department of Defense for seven years.

7 I started life as an Air Force pilot, and
8 when I retired from the Air Force I said,
9 "Well, what do I want to do with my life? How
10 about if I'm a school teacher?"

11 So I went back and became a school
12 teacher, and went back to school myself, ended
13 up with a degree in molecular biology,
14 molecular developmental biology, which of
15 course really suits me well for --

16 CHAIR NELSON: I'm sorry, Ted.

17 DR. BARNA: -- talking about fuels.

18 CHAIR NELSON: We need a microphone
19 for the Court Reporter.

20 PARTICIPANT: I can give you one
21 you can walk around with.

22 DR. BARNA: If you would, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be good. Okay.

2 I knew two things when I retired
3 from the Air Force -- I was never going to
4 live in a big city, and I was certainly never
5 going to have anything to do with the military
6 again. So I ended up in the Pentagon and
7 living in Springfield and the joys of I-95.

8 I'll get to the major point I want
9 to talk about here in a moment. Let's see
10 here. I don't want to belabor these points.

11 I listened to the report you just had, and
12 they covered them all real -- very, very well.

13 We use a lot of oil. We import most of it.
14 The demand is going to go up. It's going to
15 go up in terms of transportation fuels
16 especially. Biofuels and alternative fuels,
17 while good, are going to cover just a portion
18 of this.

19 And I think it's important to
20 remember that even as we stress, as we go to a
21 new economy, the new economy is going to be
22 built using the energy from the old economy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The bad news is, of course, that our energy
2 policy seems to be no. We don't want to drill
3 offshore in Alaska. We don't want to develop
4 shale.

5 They just voted on that in the
6 Senate panel, once again stopped any
7 development of over a trillion barrels of oil
8 out in the western parts of the United States.

9 We spend well over a billion dollars a day
10 sending money to foreign wealth funds that
11 then turn around and invest in us using cheap
12 dollars.

13 And I don't see -- very few
14 alternative fuel projects in the future. The
15 good news is, of course -- and I'm preaching
16 to the choir here I know -- we are a very
17 energy rich country. We've got well over a
18 trillion barrels of oil recoverable in shale,
19 probably pretty close to that in coal, lots of
20 tar sands, lots of trees.

21 We can use these in full compliance
22 with EPA and environmental regulations, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they can be developed for the benefit of our
2 nations, our states, our unions, our schools,
3 our environment. Whenever you get down to the
4 local level and you talk to people -- you
5 know, in Uinta County, they understand this is
6 jobs. These are schools, these are things
7 that can help us out.

8 Okay. Now back in 2003, based on a
9 plus-up that came through Oklahoma, we were
10 involved in looking at alternative fuels at
11 that time. It was a way to see if the
12 military could use synthetic fuels in their
13 aircraft and in their ground equipment.

14 At the time, I wasn't even quite
15 sure what synthetic fuels were. But I quickly
16 learned that fuels can be made from things
17 like coal, oil, shale, from renewables like --
18 especially like trees, cellulosic fuels. And
19 it grew into a study by the Department of
20 Defense, and this study we called the Assured
21 Fuels Study. It started in about 2004.

22 At the time, the cost of oil was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about \$20 a barrel, \$25 a barrel. The
2 Honorable Mr. Michael Wynne, who is now
3 Secretary of the Air Force, was the one who
4 really understood that even though at the time
5 oil was cheap, that they were running into
6 problems. And he had just written about a
7 billion dollar check just to cover the
8 increase that happened the next year on that.

9 Besides the fact that it is energy
10 assurance, we also were looking at developing
11 better fuels. The fuels that you get -- and
12 I'm slanting this to coal-to-liquids, and I'll
13 -- but there are others. But the fuels you
14 get using Fischer-Trops processes are really
15 good fuels as far as internal combustion goes.

16 They have no, or almost no, sulfur. They
17 burn at slightly lower temperatures and
18 slightly less compression. So you produce
19 even little -- less NOx.

20 More complete combustion gives you
21 less carbon dioxide, and particulate matter is
22 reduced immensely. And the specific fuels I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 talking about are diesel fuel and jet fuel.

2 Now, the military calls their jet
3 fuel JP8, except for the Navy, which has to be
4 different because they are the Navy, and they
5 call theirs JP5, which is slightly less
6 explosive and needed on carriers. But they
7 are used interchangeably.

8 If an Air Force airplane that uses
9 JP8 were to land at a Navy base and they put
10 JP5 in there, it wouldn't even make any
11 difference in what they did.

12 Okay. And they're more
13 environmentally friendly. In the military,
14 there's a lot of -- a lot of exceptions on
15 some of the rules, and we all believe that
16 these will eventually go away. So we decided,
17 well, let's have this program. And we looked
18 at -- we looked at the immense wealth that we
19 had.

20 We looked at the technology, which
21 is nothing new, although the combining of the
22 technologies in the United States is new. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 said, "Where could we fit in?" Well, where
2 the military could really fit in here was to
3 test these fuels, because there would be some
4 market resistance based on the fact that you
5 can't go out and buy Fischer-Trops diesel
6 today. And if you could, please would be a
7 little reluctant, because they're not quite
8 sure what it is and how it works.

9 And we said that based on -- then,
10 the price of fuel started -- oil started
11 ramping up, and, you know, it hit \$50 a barrel
12 and everybody went, oh Lord, you know, what
13 are we going to do? Remember the good old
14 days? \$50 a barrel? But we figured, at least
15 I did, that it was just going to take off, it
16 was just going to explode.

17 This was something that on its face
18 was so obvious that it was going to go, and it
19 didn't go. It didn't go anywhere. Now,
20 that's not to say that the military is not
21 doing some things, and I will discuss those,
22 especially Mr. Michael Wynne and the U.S. Air

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Force under his leadership. But in general,
2 it has not started, and certainly not the way
3 we assumed.

4 So I want to look at why I think --
5 why I think that this didn't happen. This is,
6 of course, not the view of the Department of
7 Defense, and actually I work for a company
8 named ICRC, and it's also part of a larger
9 corporation called VSE. It's not part of
10 theirs either, but I'm going to make some
11 recommendations and review the actions and
12 what we did.

13 Okay. Why haven't we done it by
14 now? What caused it to come off the rails
15 from my perspective? The first thing is
16 policy. We've got a great policy: maximize
17 demand, minimize supply, and buy the rest from
18 the people who hate us.

19 (Laughter.)

20 I wish I could have thought that
21 myself. Mr. Peter Schwartz said that.

22 There is no national policy right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 now that supports the development of
2 alternative fuels, and I want to talk about
3 biofuels and ethanol in a minute. But I'm
4 talking about coal/shale development, and tar
5 sands.

6 And not only that, but the policy
7 that we do have seems to change every two
8 years. We had a Policy Act of 2005 that was I
9 thought pretty darn good, and then we have a
10 Policy Act of -- now of 2007, which is totally
11 different. So you go to talk to industry
12 people, they don't know -- and they're talking
13 about large investments of money into things,
14 and all of a sudden you're saying, "Well, what
15 is the policy?" Well, we don't have one.

16 The emergency policy addresses only
17 biofuels, and there is no executive branch
18 direction for alternative fuel development.
19 Although the Policy Act of 2005 was very
20 positive, although it was mentioned in
21 speeches and in State of the Union addresses,
22 something I learned as a brand-new guy in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Washington, there was no line item in the
2 budget.

3 Well, guess what? You don't have a
4 line item in the budget, you don't have a
5 program. You don't have a program when you go
6 to put things forward, they die quickly.

7 The second thing from my viewpoint
8 is the debate. We have allowed the debate to
9 become a debate over the environment, not over
10 what I see to be an emerging energy train
11 wreck. We have convinced the nation that coal
12 is dirty, shale is a catastrophe, and tar
13 sands have ruined Canada.

14 Biofuels are put forth as the
15 answer, without looking at the energetics of
16 the whole equation, without looking at the
17 true cost. Environmental impacts of -- well,
18 I'll just say the environmental impacts and
19 the economic support that is needed to make
20 these happen.

21 The next thing I think was a real
22 detriment was finance. When we started this,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they were looking at a 50,000 barrel a day
2 plant costing somewhere around \$2-, maybe \$3
3 billion. Well, right now we are talking
4 \$150,000 per barrel of daily production.

5 I noticed on the report at the port
6 -- on the plant in Shenwa, I think he said
7 about 50,000 barrels, and it was going to run
8 in the \$3 billion price range. I think
9 anything built here right now -- the \$150,000
10 per barrel daily production is probably the
11 high end. But the way things are going, maybe
12 this year -- this speech next year it will be
13 the low end.

14 Gasoline would be a little easier
15 to produce, but -- so what we've got to look
16 at is perhaps maybe smaller modular plants as
17 a start, and building up to -- more to the
18 \$30- to \$50,000 three-train sort of plant.

19 Another thing that hurts is -- and
20 I alluded to it a minute ago -- FT technology,
21 although it has been used forever, has not
22 been built here in the United States, so there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is a little reluctance there. And the
2 products are not used in the United States.
3 There's a little product uncertainty, which
4 also all together increases the cost of money.

5 Environmental opposition -- some
6 environmental groups just hate coal. I mean,
7 they hate it. You go to their websites and it
8 starts off, "We hate coal." Coal emits way
9 too much carbon dioxide. It ravages the land.

10 It uses too much water. And then, when they
11 do comment on coal-to-liquids, they'll say,
12 "Well, it just costs too much." so old
13 technology costs way too much.

14 They point to a couple of -- the
15 uncertainty of sequestration, even though in
16 EOR it has been used a lot, and I'm really
17 very interested in seeing EOR, enhanced oil
18 recovery -- I'm sure I'm preaching to the
19 choir here -- where you just pump oil down in
20 oil wells. Right now, we're taking all of the
21 CO2 out of the ground, piping it down in the
22 Permian Basin, and also along the Gulf Coast,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and then sticking it back in the ground.

2 Why not just leave what's there
3 there and use any produced to do it? We've
4 got a patchwork of federal laws. It's real
5 easy to stop things, and in my opinion -- and
6 this is my opinion -- anything that addresses
7 all of these, as far as building a coal-to-
8 liquids plant, is still going to be opposed.

9 NIMBY -- if you go back to the --
10 especially out west in the shale, where you
11 had a lot of buildup during the '70s, and
12 everybody said, "What a great idea," people
13 spent a lot of money on infrastructure, and
14 then Black Monday, everybody went home and
15 left the people holding the bag.

16 So we've got to be -- anything that
17 works has to address local issues and has to
18 address the mistakes that we made in the past.

19 The Energy Act of 2007, especially
20 Section 526, where the military is concerned,
21 they can really help out with buying, with
22 testing, with flying these fuels, and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 specifically put in a Section 526 that says
2 you can't do anything that is -- makes more
3 carbon dioxide than petroleum right now, and,
4 as far as they were concerned, coal-to-
5 liquids, shale, so forth, all made more.

6 Carbon capture was discounted,
7 because it was not proven, and they sent a
8 letter to the Secretary of Defense saying,
9 "What are you going to do about it?" As an
10 aside, a lot of the Department of Defense
11 fuels comes from Canada, and Canada -- and the
12 oil made from tar sands. And so there was
13 sort of a flap over whether NAFTA applied or
14 not, and they decided that the Canadian oil
15 didn't apply, just U.S.

16 Finally, the last thing was lack of
17 carbon laws. When you look -- talk to any of
18 the developers, any -- the thing that worries
19 them the most is that they think that they
20 could live with, they are more than happy to
21 talk about sequestration, carbon capture.
22 Whatever you want to do, they want to do it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but they've got to know the rules of the game,
2 and right now they don't know the rules of the
3 game.

4 I mean, something as simple as cap
5 and trade, or is it going to be a tax, or if
6 you stick it in the ground do you have any
7 liability issues, is there any amortization
8 that can go on over time.

9 What happens to the sequestered
10 carbon dioxide in five years? Probably
11 nothing. Fifty years? I don't know. Five
12 hundred years -- well, I'm not really worried
13 about it.

14 But banks are reluctant to give
15 people money, and we're talking a lot of
16 money, when they're not even quite sure what
17 the laws are going to be five years from now.

18 And so that's what they really look at.

19 So here is my recommendations,
20 which is sort of all -- we need a national
21 policy that addresses all forms of energy.
22 One of the things that I noticed as a new guy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in town here is we seem to have organizations
2 that -- oil, the natural gas, the coal -- all
3 good organizations, but we don't speak with
4 one voice, and that's what we need that.

5 We need something that addresses
6 all forms of energy, and this includes
7 biofuels. It includes wind, solar, tidal,
8 nuclear, coal, shale, tar sands, and
9 renewables. There's nothing wrong with that.

10 Renewable energy is really kicking off in
11 Europe, you know, and they're looking at
12 cellulosic.

13 And I got my doctorate in South
14 Carolina, and if you were down there very long
15 you'll see there's a lot of lumber trucks on
16 the road. I mean, that's what they do down
17 there; they grow trees. They don't have any
18 coal, or very little, but they sure know how
19 to grow trees.

20 And money has to be made available
21 through the executive branch for alternative
22 fuel development. This has to be part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 budget.

2 Debate has to be shifted to an
3 energy debate. Now, I'm not -- I'm a
4 molecular biologist. I'm a biologist. I'm
5 for developing things in a sound, logical,
6 rational manner. But the thing that is going
7 to -- the train wreck that is coming at us,
8 from my perspective, is energy. And we have
9 to focus on that.

10 If we want an example, look at what
11 Brazil did. They formed Petrobras. They went
12 out, they found oil, and they used 20 percent
13 as -- from ethanol, 80 percent comes from the
14 good old-fashioned pumping it out of the
15 ground.

16 And they expect to be oil
17 independent here pretty soon. Now, we're not
18 going to make oil independence. That, I
19 think, is not reasonable, not in any time --
20 or energy independent, but we could certainly
21 lessen the dependence than we have now.

22 We could encourage, as I said,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 smaller modular plants, and this is a
2 recommendation to the Department of Energy and
3 to the Secretary of Energy. It lowers the
4 CAPEX, it allows for modular expansion, and
5 initial construction are really great projects
6 for demonstrating carbon capture and
7 sequestration.

8 The government can do two things.
9 I'm not much for government subsidies, but it
10 can do some things that will help along. It
11 can buy off -- you know, the military could
12 buy off the oil -- I mean, excuse me, the jet
13 fuel. By the way, the military primarily uses
14 jet fuel. About 80 percent of the energy the
15 military uses is transportation fuel, and the
16 biggest single project -- product is jet fuel,
17 and the next is diesel, diesel fleet marine
18 for the Navy.

19 It can buy these off. They're good
20 fuels. It can use loan guarantees and
21 continue funding the testing by Department of
22 Energy and the Department of Defense. And I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think this debate can be shifted to rather
2 than keeping this \$500 billion a year or more
3 into the United States, demonstrate that these
4 things can be done in an environmentally
5 sensitive and friendly manner.

6 If you go visit coal mines -- I've
7 been -- and I'm thinking of the Coal Council
8 here, but, you know, you're up in North
9 Dakota, and you go to an open pit mine, and
10 they say, "Well, over there is where the mine
11 used to be." And it's restored and
12 topographically you don't even know it was
13 ever there.

14 Using clean coal to make electrical
15 power makes a lot of sense. I think that the
16 TVA would be a great place for this to start.

17 And I think that rather than in opposition, I
18 think that somehow or other active
19 participation by environmental groups is not
20 only required but necessary.

21 And we've got to take into account
22 all of the stuff that we did, and say we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not going to do that anymore. We need to get
2 out in the local communities and do it. And,
3 by the way, when you look at developers, the
4 biggest area where they find a welcoming
5 environment is at the local community, state
6 and local. They understand it. They get it.

7 Okay. So since I left the
8 Department of Defense, the Department of
9 Defense did two things. One is it formed the
10 Defense Science Board and did another study,
11 and what it did was it looked at deployed fuel
12 and it said Fischer-Trops was not a real good
13 fuel for deploying forces. In other words,
14 you have to bring your Fischer-Trops factory
15 along with you.

16 In honesty, back when I started
17 this, we looked at putting a Fischer-Trops
18 plant on a ship, and it ended up to be bigger
19 than an aircraft carrier. It probably wasn't.

20 It probably was overengineered, but it would
21 make Fischer-Trops fuels in the C-state five.

22 So, I don't know, I couldn't make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Fischer-Trops anything in C-state five, but
2 that's -- this plan could anyhow.

3 Anyway, I just don't think it was a
4 very good report. I think that the need is
5 still there. The DOD Energy Task Force is
6 looking at -- although 80 percent of their use
7 is in these fuels, their focus is really on
8 the 20 percent. And the Air Force and the
9 military is doing a lot in terms of using
10 hydrogen, building solar rays.

11 The number one consumer of green
12 energy in America is the U.S. Air Force. So,
13 I mean, they're on board on that, but the
14 problem is that 80 percent is fuel that you
15 put into jet engines or tanks or ships or
16 whatever.

17 The U.S. Air Force has continued
18 very valiantly, in the face of a lot of
19 opposition, to continue their testing. At
20 Wright-Patterson they are doing the aircraft
21 testing. You periodically read that they have
22 just flown another airplane; they flew a B1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 supersonic the other day.

2 They said they would like to
3 preferentially buy Fischer-Trops fuels if they
4 were made available, but we don't have anybody
5 making them here, so that's not going to
6 happen. The sort of ironic thing is although
7 they were the initial catalyst for all of
8 this, where they may use Fischer-Trops fuels
9 is not in the United States.

10 They may be certifying all of their
11 aircraft and then buying the fuels from plants
12 in Qatar or plants in South Africa or plants
13 in China or Indonesia, the Shell plant there.

14 So, and they are trying to overcome Section
15 526, which isn't that good. And the Army and
16 the Navy are not doing a lot.

17 So we need better policy. We need
18 to reform the debate. We need to do what we
19 can to reform these financial obstacles. We
20 have to deal with the environmental issues in
21 an honest and straightforward manner. We've
22 got to emphasize the advantages of state and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 local. We need to continue supporting the
2 Department of Energy and the Department of
3 Defense in their efforts to get these online.

4 So thank you all very much.

5 CHAIR NELSON: Thank you.

6 (Applause.)

7 We have time for one question.
8 Does someone have a question? We need a
9 microphone. There we go. Sy?

10 MR. ALI: Sy Ali with Clean Energy
11 Consulting. You mentioned of coal-to-liquid
12 conversion. We have talked with Wright-Patt
13 regarding the fuel that can be produced, and
14 they talk about needing mil specs and having a
15 test at an engine. At there any programs
16 within the Air Force that would support that
17 activity?

18 DR. BARNA: The question is: is
19 the Air Force supporting activities so that
20 the fuels meet mil specs? And then, the
21 answer is two part. First is, if you take a
22 Fischer-Trops fuel and you mix it 50/50 with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 existing fuels, it falls right in the middle
2 of the known -- of the specification for jet
3 fuel. So you overcome it.

4 At the same time, they are testing
5 it for the two main problems with the jet
6 fuels, and one is lubricity, because no
7 sulfur, you have a lubricity problem, which
8 probably can be overcome with additives. And
9 the other is seal swell issues that do not
10 affect new engines but could affect older
11 things, especially older ground equipment.

12 Remember, to get the fuel in the
13 airplane, you've got to put it in a truck and
14 you've got to put it into storage and pump it
15 in there, and so forth, and those things could
16 leak. But yet they are very much -- Wright-
17 Patt is very much engaged in the engine part
18 of that, and the Advanced Petroleum Office at
19 Warner-Robbins is engaged in the ground
20 equipment.

21 CHAIR NELSON: Thank you. Thank
22 you very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Join me in thanking Dr. Barna.

2 (Applause.)

3 Next, I'd like to welcome William
4 Fang, who is the Deputy General Counsel of the
5 Edison Electric Institute. He directs the
6 global climate change issue for EEI. Welcome.

7 MR. FANG: Good morning. Bob Beck
8 asked me to talk about -- give you an overview
9 of congressional climate legislation. I think
10 most of you are probably aware of some of the
11 leading legislation up on the Hill, but I'll
12 try to give you my perspective and talk a
13 little bit about economic impacts with respect
14 to one of the bills.

15 I think it's pretty clear from the
16 standpoint of the electric utility industry
17 and coal industries that any of these
18 comprehensive climate bills are going to have
19 some severe economic impacts, at least net
20 severe economic impacts.

21 I divided the legislative -- the
22 bills and legislative proposals into three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 categories: the comprehensive legislation,
2 which would affect the entire economy, and
3 then a couple of others which are intriguing
4 and could move what I call the "mind the gap"
5 legislation.

6 Everyone knows, I think, that even
7 if climate legislation passes in the next year
8 or two there is going to be a period of time
9 to implement -- to have to implement
10 regulations, and so we are going to have some
11 period before it becomes effective.

12 It could be several years, and in
13 the meantime we have coal-based technologies,
14 carbon capture and sequestration, other
15 technologies which really need more -- they
16 need a lot more funding, they need a
17 jumpstart, and so that's what I call the mind
18 the gap legislation. We are going to have
19 this gap, and others of course have noted
20 this, and we need to fill that gap as soon as
21 we can, regardless of whether comprehensive
22 climate legislation is enacted any time soon.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And then, there's a category of
2 targeted or narrower legislation, which --
3 some of which could move this year. It's
4 unclear. Some of the legislation in this
5 category blends with the second category, but
6 we'll get into that.

7 Okay. These are the leading bills
8 on the Senate side. I'll spend most of my
9 time on Lieberman-Warner, which is I think
10 probably the most severe bill in terms of
11 impacts. It would eventually call for a 70
12 percent reduction in greenhouse gas emissions
13 by 2050.

14 Lieberman-McCain I put up here
15 simply because we've got a Presidential
16 candidate, his bill, which has twice been
17 voted down, which could still be in play,
18 would call for about a 60 percent reduction in
19 greenhouse gas reductions by 2050. So it's
20 also a pretty serious piece of legislation.

21 And then, we have Bingaman-Specter,
22 which for a while seemed to attract some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 support, certainly among some in my industry
2 and labor, and perhaps the coal industry, too.

3 But I don't think it's really going to be in
4 play. Some of its concepts might be in play,
5 the safety valve for example. It, too, by
6 2050 would require a pretty serious reduction
7 in greenhouse gas emissions.

8 Let me spend a little time on
9 Lieberman-Warner and the economic impacts of
10 that before we move on to the House side. And
11 I think the reason why we have such severe
12 economic impacts is because the targets and
13 timetables are so strict, particularly in the
14 near term or in the medium term out to 2050.

15 That's going to have huge impacts
16 on utilities, on transport, buildings, and
17 homes, and so forth. Eventually, if you're
18 talking about a 70 percent reduction in
19 emissions by 2050, you're talking about
20 effectively decarbonizing the U.S. economy,
21 and that just has some incredible
22 implications.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The GDP loss by 2050 would be as
2 much as \$2 trillion annually. The cumulative
3 GDP loss is more than \$6 trillion. So just
4 those figures alone should be enough to make
5 people sit up and take notice. In fact, the
6 targets and timetables are so severe,
7 particularly in the near term, that banking
8 really doesn't help.

9 Banking doesn't help until you get
10 out into the outyears, and even then it might
11 only -- you know, it might only cause about an
12 \$80 billion decrease in costs. And when
13 you're talking about as much as \$2 trillion
14 annually, or a cumulative \$6 trillion loss,
15 \$80 billion doesn't really mean a whole lot.

16 So, theoretically, banking could
17 help. I don't think borrowing helps at all,
18 but effectively it's -- there's not much help.

19 The impact on household income, the
20 loss in 2050 is about \$2,200, which is I think
21 for most families a pretty big hit. In terms
22 of the energy sectors, while coal takes it on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the chin probably the most, I think there is
2 some question, particularly in the short to
3 near term, short to medium term, whether coal
4 can survive.

5 If it can survive by 2030, and you
6 have advanced coal technologies and carbon
7 capture and storage online, you can have a
8 resurgence of coal, but only coupled with
9 carbon capture and storage. And that's not
10 going to occur until, one would think, about
11 2025 or beyond.

12 The big beneficiary in the near
13 term is natural gas, of course. Utilities
14 would engage in massive fuel-switching to
15 natural gas. Natural gas would enjoy a
16 prominence until maybe 2030, but at some
17 point, I mean, the carbon content in natural
18 gas is half as much -- a little more than half
19 as much as coal.

20 So eventually, if coal comes back
21 with carbon capture and storage, natural gas
22 is not going to be used forever as a baseload

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fuel. So it would eventually decline, and,
2 again, the entire economy has to decarbonize,
3 and natural gas would be no exception to that.

4 In my industry, people have talked
5 about the role of energy efficiency and
6 renewables. We would look at energy
7 efficiency first. Again, in the short to near
8 -- short to medium term by 2030, there's only
9 so much that energy efficiency and renewables
10 can do.

11 Nuclear is the other big baseload
12 generation source besides coal and natural
13 gas. But nukes can only enjoy a renaissance
14 if a lot of regulatory hurdles are cleared,
15 the Yucca Mountain situation is resolved.
16 We're not going to have new nuclear plants
17 until about 2016 to 2018, and we're talking
18 about three or four or five plants.

19 So for a substantial amount of
20 nuclear energy to come on board, that -- I
21 don't think you will see that happen until
22 2020, 2025. So we do have this -- we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have a huge problem under Lieberman-Warner,
2 some of these other severe bills, up to about
3 2025, 2030.

4 And I should, finally, at least
5 make a note about job losses. Some have said,
6 of course, we're going to have some new green
7 jobs created, and that's certainly true, but
8 the net job loss is going to run into the
9 millions. The energy-intensive industries,
10 the manufacturing sector, are going to take it
11 on the chin. A lot of jobs will move
12 overseas.

13 I think particularly as the price
14 of natural gas gets high, and supplies are
15 constrained, you'll see the chemical --
16 petrochemical and fertilizer industries fold
17 up or move overseas. So some jobs -- a lot of
18 jobs will certainly disappear. Some of them,
19 again, will come in through new green
20 industries, and there will be some retraining.

21 But all together I don't think it's a very
22 happy prospect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 On the House side, we have three
2 white papers that have been issued by the
3 Energy and Commerce Committee. They will
4 probably issue a few more. They have held a
5 couple of hearings, and subcommittees held
6 some hearings, and they will likely schedule a
7 few more.

8 I think the big question is whether
9 they will -- whether they will issue a bill
10 this year. And Dingell and Boucher would like
11 to promulgate a bill, but there are a lot of
12 issues with that.

13 Part of it hinges on the Senate
14 action, and I will jump ahead just to this
15 last bullet for a moment. You know, most of
16 the betting right now is that Lieberman-Warner
17 comes up on the floor in the first week of
18 June. It may be debated for a few days, maybe
19 for a couple of weeks at most, but while it
20 will move to proceed, it will not likely --
21 would not likely survive cloture.

22 So that means that if there is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a Senate bill, that takes a lot of the
2 pressure off the House. On the other hand, I
3 think Dingell and Boucher are looking at this
4 issue in terms of jurisdiction. If they don't
5 get a bill out this year, that is a problem I
6 think for the next Congress. So I think they
7 genuinely want to get some kind of bill out
8 this year. So, again, whether that will cross
9 -- whether they will actually do that is
10 unclear.

11 There are some other possibilities
12 for bills on the House. Representative
13 Whitfield has talked about getting a bill out,
14 and he has mentioned a couple of members that
15 might be involved in that. But we haven't
16 seen anything yet, so it's a little early for
17 that.

18 So turning, again, to what -- where
19 all the action is at the moment, the
20 substitute manager's amendment was just
21 dropped in yesterday on S. 2191. There was a
22 summary available earlier this week, and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 looked at that. I haven't had a chance to
2 look at the substitute. It's 157 pages.

3 There are some changes, but the
4 targets and timetables have not changed as far
5 as we can tell. So that means that, you know,
6 basically the structure of the bill is intact.

7 There are some things that are helpful to
8 coal.

9 In the version that came out of
10 committee -- by the way, there was no
11 committee report that we're aware of, so the
12 majority leader had invoked some special rule
13 for this substitute manager's amendment to get
14 to the floor in the absence of a committee
15 report, which is kind of unusual. But, you
16 know, we won't have any legislative history to
17 speak of for S. 2191.

18 But getting back to the manager's
19 amendment and the bill as reported out of --
20 the bill that came out of committee, it did
21 have some provisions for coal. There were CCS
22 bonus allowances, carbon capture and storage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 bonus allowances. There were something like
2 eight or nine funds, and one of the most
3 interesting of those is the technology
4 deployment fund.

5 Now, that fund would not just --
6 would not depend on allowances. It's
7 separately funded from auctions, and so forth.

8 That fund would not just be for advanced coal
9 technologies through CCS, but would be for the
10 whole range of advanced technologies and other
11 technologies. But, certainly, coal
12 technologies and CCS would be a beneficiary
13 under that.

14 So I think -- and we'll have to
15 take a closer look at this -- in the manager's
16 amendment, there were some changes. I think
17 the intent was to try to take the bonus
18 allowances, which are backloaded, and move a
19 lot of them up front, which is where we really
20 need them. Obviously, we are going to need
21 CCS, the RD&D, sooner rather than later. So
22 that would be a good change, if in fact the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CCS bonus allowances are now more frontloaded,
2 or at least not so much backloaded.

3 As that bill gets to the floor,
4 there will be other amendments of course. The
5 Republicans will have a lot of amendments.
6 Some of them will be tabled, some will be
7 withdrawn. There is some talk about
8 Voinovich's -- one of the leading Senators
9 with his own kind of bill, and that has been
10 out in the press and been circulated.

11 Senator Bond is working on
12 legislation apparently, or amendments, and
13 then there's perhaps a group led by Senator
14 Dorgan that are working on some kinds of
15 amendments. What those are is unclear. I
16 would suspect they have something to do with
17 coal and CCS.

18 I think in terms of the Republican
19 amendments, those are basically message bills
20 or message amendments. They are not expecting
21 to pass those. You know, the indication from
22 folks like Boxer are that if there are any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 weakening amendments that are -- that threaten
2 S. 2191, that they will pull the bill from the
3 floor, and probably the bill will be pulled
4 from the floor anyway.

5 So I think some of the things to
6 watch for is to see if any kind of a nuclear
7 title would be accepted. You have people like
8 Senator Isakson who are working on a nuclear
9 title, and there will be some interest in
10 that, or there may be some kind of nuclear
11 amendment offered that's more show than
12 substance. That's a possibility.

13 I seriously doubt whether any of
14 these kinds of other amendments from the
15 minority side are going to get across and be
16 accepted.

17 Okay. That's the state of play on
18 the comprehensive legislation.

19 Okay. Here we go. In this
20 legislation that is needed in the short term,
21 CURC has the leading proposal for a near-term
22 CO2 reduction program with various components.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm not going to walk through this in any
2 detail. I suspect some people from CURC are
3 in the audience, and they could explain this
4 far better than I. But it's a technology-
5 based program to increase existing plant
6 efficiency, presumably.

7 You have to, you know, avoid the
8 NSR problem or any NSR issues there.
9 Certainly, they -- you want to push advanced
10 coal technology units and CCS, which we have
11 discussed. And, again, in the context of CCS,
12 a predictable regulatory kind of framework --
13 all of which is needed to advance these along.

14 Restructured FutureGen -- your
15 guess is as good as mine where FutureGen is
16 going to end up. It sounds like it's going to
17 be something that the next administration will
18 have to decide. We'll see what -- I know
19 there is some legislative activity there in
20 the appropriation side to try to -- some who
21 want to, you know, maintain the program before
22 DOE announced the changes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I don't know what the chances are
2 of those kinds of proposals getting across the
3 finish line. But in any event, it's probably
4 something that the next administration will
5 have to definitively address.

6 And then, we have some other
7 legislative efforts in near term. There is
8 one that the National Rural Electric
9 Cooperative Association has pushed. I don't
10 know if anybody from the co-ops is in the
11 room, but, again, they are in the best
12 position to talk about that. They have gotten
13 a bipartisan interest in this.

14 On the Senate side you have Conrad
15 and Hatch, and then Pomeroy and Lewis on the
16 House side. So that one has some chance,
17 since it's bipartisan, of moving. But I
18 haven't seen the bill yet, so we'll have to
19 see what happens there. But there is some
20 activity in this area.

21 And then, finally, and then this
22 category, again, blurs with the previous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 category. These are proposals that I would
2 call downpayment legislation. They would not
3 preempt comprehensive climate legislation, but
4 they are I think some -- some good attempts to
5 get something positive enacted before
6 comprehensive climate legislation actually
7 gets across the line.

8 So the leading proposal was
9 originally floated last year by the Mine
10 Workers, later joined by National Mining. And
11 in that forum it first appeared as a sales tax
12 on coal. Then, it evolved into some kind of
13 an electricity fee, a millage fee, which the
14 last time I was it it was about four-tenths of
15 a mill on cal, two-tenths of a mill on gas,
16 and three-tenths of a mill on oil.

17 And it would -- all together
18 blended would be about five-tenths of a mill
19 or half a mill, would raise about a billion
20 dollars a year, and would be in effect for
21 about 10 years.

22 So that's the proposal. Now, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has happened to it is not entirely clear, but
2 it looks as though Representative Boucher has
3 taken it on and, you know, it's difficult to
4 predict what will happen if Boucher and other
5 coal state representatives like Rahall and
6 Murtha change it, modify it, and so forth.

7 But the question mark is not in
8 terms of whether there will be a bill. I
9 think there will be a bill introduced. The
10 question is, you know, who is going to be part
11 of that? And the key really here is going to
12 be what Pelosi is going to be -- what Pelosi
13 will do with that, and that's why Murtha is
14 the key representative.

15 So that -- if Murtha and Pelosi
16 work out something, then perhaps that bill
17 could move, and that could be dropped in soon
18 from what we understand.

19 And so if you -- you know, if
20 you're going to lobby on this, Boucher is the
21 one to lobby on, I believe. And then, there
22 may be some other members in play on that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 On the Senate side, we do hear that
2 CCS will also be addressed, but it's unclear,
3 you know, what's going to happen on that. I
4 haven't seen any language on that at the
5 moment. These are the -- this is what I've
6 seen so far. It's mostly from the labor side
7 and from Representative Boucher.

8 Okay. That's my summary of what's
9 currently in play, and I'm happy to -- if you
10 have time, to take any questions or comments.

11 (Applause.)

12 CHAIR NELSON: Are there any
13 questions?

14 MR. BECK: We do have time for some
15 questions.

16 CHAIR NELSON: We do?

17 MR. BECK: Chairman Connaughton
18 just called and said he'll be here no later
19 than 11:15, and it's about 11:00, so --

20 CHAIR NELSON: Good.

21 MR. BECK: -- we do have time for
22 some questions. Rich?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FELDMAN: Rich Eimer, Dynegy.
2 Bill, what do you see after February?

3 (Laughter.)

4 MR. FANG: Part of that depends on
5 who the next President is. But they have all
6 professed strong interest in cap and trade
7 bills with a pretty strong nature. I didn't
8 even talk about a carbon tax. You know,
9 Representative Dingell had put a carbon tax
10 proposal out as the strawman earlier this
11 year, but it never got to the point of being a
12 discussion draft or a bill.

13 And I think while we need to be
14 flexible to think about what might happen if a
15 carbon tax is surfaced, I think most of the --
16 politically most of the play is in the cap and
17 trade area.

18 There could be some hybrids, too.
19 I mean, the Bingaman-Specter bill with the
20 safety valve, some view the safety valve as an
21 equivalent to a carbon tax. And so you could
22 view that as a hybrid cap and trade and safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 valve -- cap and trade and carbon tax kind of
2 proposal.

3 I think it's going to be real
4 tough. Presumably, the next President will
5 have his or her own bill, and it will be a
6 tough bill, and Lieberman-Warner might be --
7 it might go beyond that. So I think we'll
8 have our work cut out for us. But Lieberman-
9 Warner is extremely important, because it sets
10 the stage. It's going to be the starting
11 point probably for what happens in the next
12 Congress.

13 Presumably, I mean, most observers
14 are betting there will be more Democrats in
15 both houses. So that's going to make it
16 tougher, too. I don't know what else to tell
17 you. I don't see any real -- any ways to
18 escape comprehensive climate legislation in
19 the next few years.

20 The other problem maybe a little
21 more down the line is what happens in the
22 international negotiations. That could be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 real problem. Some have suggested, in fact,
2 that we should take domestic legislation, even
3 if it is pretty bad, because the international
4 -- whatever comes across in the next
5 international treaty could be worse.

6 I don't know if that's a good
7 strategy. I mean, there is some interaction
8 between what happens internationally and what
9 happens domestically. But I think you do have
10 to -- I think we do have to be vigilant about
11 what happens internationally, and I personally
12 believe that most industry groups have not
13 paid sufficient attention to the international
14 negotiations. They do have an effect on what
15 happens domestically, and I would encourage
16 folks to be much more active in this.

17 MR. BECK: Question?

18 MR. BOWKER: Bill Bowker, Kentucky
19 Office of Energy Policy, being reorganized now
20 again into the Cabinet for Energy and
21 Environment. But I'm not sure you can answer
22 this question shortly. Maybe you can direct

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 us to something.

2 You used some figures for the
3 possible impact of Warner-Lieberman. The EPA
4 did a study, EIA did a study. Both sides
5 claimed victory, you know, showed -- showed
6 that it won't hurt the economy, showed that it
7 will hurt the economy. Can you summarize for
8 us what you see in those studies? Or is there
9 someplace we can go to get an understanding of
10 those?

11 MR. FANG: Sure. It's a very good
12 question and observation. Really, the major
13 macroeconomic models -- the output depends on
14 what the assumptions are. And if you look --
15 I'll just use EIA. I'll pick on EIA as an
16 example, because that's the one that has most
17 recently come out.

18 They have a core case, and they ran
19 a number of cases. I can't remember how many,
20 maybe as many as nine or so. But their core
21 case they have -- by 2030, they have 268
22 gigawatts of nuclear coming in. And they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 realize it's not realistic, but they did not
2 constrain their model. So, you know, you tell
3 me whether that makes any sense or not. I
4 mean, we -- a lot of us don't think that makes
5 any sense.

6 We only have about 100 gigawatts of
7 nuclear now. To think that there might be 268
8 or 278 gigawatts, whatever the exact number
9 is, in this country by 2030 is just
10 ridiculous. I mean, it makes no sense. So,
11 of course, with those kinds of assumptions,
12 you have much lower costs.

13 If you have huge assumptions on
14 renewables and nuclear, or if you have a model
15 that assumes that half of your reductions can
16 be achieved through energy efficiency, of
17 course you are going to have low costs. I
18 mean, that's just a natural outcome of how you
19 run the model.

20 So I think as you look at -- as you
21 look at the different studies, you need to
22 examine -- those are the main variables to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 look at -- also offsets, domestic and
2 international. So I would say offsets,
3 nuclear renewables, and energy efficiency. I
4 may be leaving out something important, but
5 those are going to make a major difference.

6 And we have put together -- we have
7 put together some comparative charts or
8 matrices on how these studies stack up. And
9 if anybody would like a copy of that, let me
10 know and we'll send it to you.

11 MR. WORKMAN: Greg Workman with
12 Dominion. Bill, I was wondering what your
13 thoughts would be on the national -- or,
14 excuse me, the state and the regional programs
15 that -- you know, our estimate is there is
16 somewhere between 15 to 25 states are going to
17 be impacted by either state or regional
18 programs by -- by the end of the year,
19 certainly the first part of next year. So I
20 wonder what your thoughts are as to how that
21 is going to incorporate into a national
22 program when that kicks off.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FANG: That's a tough question,
2 a lot of different aspects to what states and
3 regions are doing. And you're right, with --
4 you've got Reggie in the northeast with 10
5 states, the western climate initiative has I
6 think at least six states or more, and then
7 there's this Midwest Governor's Accord, which
8 has a number of states. I don't even remember
9 how many.

10 I think one of the issues is going
11 to be how they relate to federal legislation,
12 and whether they would be preempted in some
13 part. If you look at Lieberman-Warner, it has
14 a provision that would allow state programs,
15 to the extent that they exceed the federal
16 program in stringency. So that would be
17 partial preemption.

18 Something like Reggie could go away
19 under that kind of provision, because Reggie
20 is nowhere near as stringent as Lieberman-
21 Warner. But in the meantime, you have all of
22 these states that have passed laws, and now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they're starting to pass regulations, and
2 Reggie -- you know, they're going to conduct
3 their first auction in September, another one
4 in December I believe, and by the time federal
5 legislation is effective you will have had a
6 program that's -- will have existed for a few
7 years that will have been -- these auctions
8 conducted, and most importantly revenues.

9 You have states who have raised a
10 lot of revenues and are starting to use it for
11 various purposes. So how is that going to --
12 what happens to those under a federal program?

13 I think that's a big unknown.

14 On the other hand, you have
15 California, which -- whose AB32 is -- still
16 goes beyond where Lieberman-Warner or any of
17 the bills are probably, maybe with some
18 exceptions. There might be some very extreme
19 bills that go beyond California, but let's
20 assume, for purposes of discussion, that
21 California is more extreme.

22 Well, all of that is still going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remain in play. I think the big question in
2 California is: how are they going to work
3 their program within the confines of the
4 western climate initiative? You've got five
5 other states, and none -- they're not on the
6 same page in terms of cap and trade or what
7 kind of mandatory programs would be imposed.
8 So that's a very messy situation.

9 I'm not sure how else to say that.

10 You've got about 26 or 27 state RPSs, so
11 that's another factor. So you're going to
12 have issues about whether those are in any
13 national program. Let's say, if a national
14 RPS, whether they're grandfathered, taken into
15 account in some way, they are all so different
16 that -- and that has been the big argument is
17 to allow state RPSs and not worry about our
18 federal RPS.

19 I think there are some areas that
20 traditionally the states have regulated, and
21 federal legislation probably won't touch
22 those. Those would be things like land use,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mass transit, urban mass transit, some areas
2 like that.

3 But when it comes to cap and trade
4 or some big economy-wide or state-wide kind of
5 mandatory regulation, yes, that does need to
6 be worked on, and it really makes more sense
7 for federal preemption -- for federal
8 legislation to preempt what the states are
9 doing.

10 But the preemption is such a hot
11 issue or hot button issue, particularly for
12 the California, Florida legislators, within
13 the confines of the federal legislation, I
14 don't think that issue will be worked out
15 until the very last minute. It's just too
16 controversial and too hot.

17 I mean, I -- logically, it's
18 something that should be addressed head on,
19 but emotionally it's something that most
20 legislators don't want to touch it until very
21 late. And we know there's -- there are
22 members of Congress that favor preemption,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but, again, it's a tough issue that won't be
2 worked out until late, I don't think,
3 unfortunately.

4 CHAIR NELSON: There's a question
5 here.

6 MR. FANG: Sure.

7 MR. BAJURA: Dick Bajura, West
8 Virginia University. Do you see a future
9 legislation coming about where the Federal
10 Government might be responsible for the carbon
11 dioxide that's stored underground?

12 MR. FANG: Well, it's a good
13 general question. I think for carbon capture
14 and storage to actually be implemented in the
15 long term, there does need to be this -- a
16 regulatory framework, and it's going to get
17 messy because the states have a role and an
18 interest, and the feds have a role and an
19 interest.

20 I think, ideally, whether it's the
21 Federal Government or state government, for
22 long term, we like to call it long-term

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ownership and control. But, okay, you can
2 call it a risk-based issue or a liability
3 issue if you want. But however you look at
4 it, in the long term there does need to be
5 Federal Government or state government control
6 or ownership, because post-closure -- I mean,
7 these CCS facilities, let's say they operate
8 for 40 or 50 years.

9 At some point they're going to
10 close or they're going to get filled up, and
11 corporations don't live forever. I mean, an
12 NAP or a Southern or Dominion is -- this may
13 not be in that corporate -- stay in that
14 corporate form forever. So -- and since
15 forever is a long time, somebody has got to
16 take that over.

17 And I think that makes sense.
18 Texas passed a law to take over -- I think it
19 was an indemnification kind of principle, as
20 it was trying -- you know, it wanted the
21 FutureGen site to be located in Texas, and
22 that was one of the things -- one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 attractive things that it offered, so that --
2 you know, take liability off the table.

3 So it's something that should be
4 addressed. In the meantime, you've got -- EPA
5 has a rulemaking, which is going to be
6 initiated in July, under the Safe Drinking
7 Water Act and Underground Injection and
8 Control Program.

9 That's kind of a partial response
10 right now, but there needs to be a lot more
11 done on -- in terms of regulatory framework,
12 both at the state and federal levels.

13 CHAIR NELSON: Thank you very much.

14 (Applause.)

15 We expect Chairman Connaughton in a
16 minute or two. So if I -- I'd ask you to just
17 remain in your seat, if you could. We need to
18 hold up a paper for 10 seconds. Okay.

19 MR. BECK: While he's doing that,
20 it's about 10 after 11:00, so we'll probably
21 just take maybe a five-minute break right at
22 our spot or -- no, I mean, just stay in place

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and wait.

2 CHAIR NELSON: I wanted to say a
3 couple of things.

4 MR. BECK: Oh, okay. That's fine.
5 That's fine. Okay.

6 CHAIR NELSON: You're all free to
7 converse while we're doing the white paper
8 testing.

9 MR. BECK: I've got a bag back
10 here, David, if you'd rather put that over
11 your head.

12 CHAIR NELSON: For purposes of the
13 Court Reporter, we'll be on a very temporary
14 recess, okay?

15 (Whereupon, at 11:13 a.m., the proceedings in
16 the foregoing matter went off the
17 record briefly.)

18 CHAIR NELSON: Okay. We are back
19 on the record. If I could have your
20 attention, please.

21 We are -- just waiting for things
22 to settle down here. I think we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 completed the white paper test, and we are now
2 delighted to welcome the Chairman of the
3 Council on Environmental Quality, James
4 Connaughton.

5 He serves as the Senior
6 Environmental and Natural Resources Advisor to
7 the President, as well as Director of the
8 White House Office of Environmental Policy,
9 which oversees the development of
10 environmental policy, coordinates interagency
11 implementation of environmental programs --
12 boy, that's a big task -- and mediates key
13 policy disagreements among federal agencies,
14 state, tribal, and local governments, and
15 private citizens.

16 It is indeed an honor to have him
17 with us today, The Honorable James
18 Connaughton.

19 MR. CONNAUGHTON: Thank you so
20 much.

21 (Applause.)

22 You have two guys who were the AV

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guys in high school here.

2 (Laughter.)

3 And this isn't going to work anyway
4 because the battery is low. Okay. So you're
5 going to get the oral presentation, not the
6 visual presentation.

7 Good morning, everybody.

8 (Laughter.)

9 Yes. So I'm the White House guy.
10 I work at Energy Policy, Environment Policy,
11 Natural Resource Policy. And it also means
12 that I intersect and provide my words of
13 wisdom as we consider economic policy and
14 agricultural policy and other things.

15 So I am delighted to be in front of
16 this group, because what I do really is
17 sustainable development in its purest form --
18 you how marry environment with economic with
19 quality of life issues.

20 I want to talk to you a little bit
21 about climate change and energy security, sort
22 of where we are internationally and where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're heading domestically. I'll give you a
2 situation analysis and give you some of my
3 thoughts going forward, and hopefully leave
4 ample time for questions. How much time are
5 we -- okay, good. Ample time for questions.

6 So, first, let me -- we all know
7 about rising energy prices. The much-
8 criticized National Energy Plan of 2001, you
9 know, the Vice Presidential plan that was the
10 product of a big stakeholder process, I could
11 point you back to that document, and I can
12 point you to a lot of what was described there
13 of what we need to do. And we can directly
14 attribute a lot of what we're seeing today to
15 the unfinished business of energy policy in
16 America.

17 So what we are dealing with right
18 now -- I mean, it's not new. It's not
19 unforeseen; clearly described, clearly
20 anticipated, the solutions clearly
21 articulated. We had an energy bill in '05
22 that got us part way there. We had an energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 bill in '07 that got us further there.

2 The unfinished business was still
3 the heart of the business, and so I want to
4 talk about that in a little bit, too, but
5 that's sort of -- I want to leave that as a
6 sort of opening framework.

7 On climate change, people want to
8 make the issue of climate change difficult.
9 But climate change is actually a very, very
10 simple issue. It comes down to, quite simply,
11 50 percent of the climate change equation is
12 how we use coal.

13 Twenty percent of the climate
14 change equation is personal transportation --
15 not airplanes, not ships, not trains, not long
16 haul trucks. It's people driving around in
17 cars, personal mobility, and all of the
18 benefits that come from having personal
19 ability. Twenty percent of the equation is
20 forestry and land use, and ten percent is
21 everything else, now and going forward.

22 So that's climate change, and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 much of the discussion is about everything
2 else when the heart of it is coal is an
3 essential foundation to the global capacity to
4 lift people out of poverty. At least it has
5 been so far. It's affordable, it's reliable,
6 it's abundant, and it has proven with the test
7 of time for a century that it can help power
8 economic growth in very important ways.

9 No matter what climate policy is
10 debated -- domestically or internationally --
11 coal will be used, and coal must be used. And
12 so we have to find ways to use it smarter, use
13 it cleaner, use it more efficiently.

14 At the same time, with energy
15 demand growing, we want to see -- you know, we
16 want to continue resiliency in our power
17 generation system. The same way we have been
18 enjoying resiliency with nuclear and
19 renewables and natural gas and other sources,
20 we want to be sure we have that resiliency,
21 but we still have this anchor in those nations
22 that can and will rely on coal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And so we can't go about the
2 climate issue without just confronting that
3 head on and seriously, and a lot of the
4 discussion around this is not serious.

5 On personal transportation, it is
6 trying to infuse into our personal
7 transportation system the same kind of
8 resiliency we enjoy in the power generation
9 system. Right now, for vehicles, really, it's
10 the sole source supplier, and the suppliers --
11 this often comes from sources that do not
12 necessarily have our best interests at heart.

13 So it's important to think in the
14 transportation space of how to build out
15 greater resiliency through greater choices
16 that are interoperable in the same way that
17 our electricity infrastructure system is
18 interoperable.

19 When we do that, we can then look
20 for opportunities to help the transportation
21 side of the equation with the electricity side
22 of the equation in more effective ways. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ultimately there is going to be a complete
2 convergence between our transportation systems
3 and our electricity systems.

4 We know that to be the case, right?

5 Nobody suggests otherwise. So, really, it's
6 just a question of how serious we are about
7 getting on with it, which is largely an
8 infrastructure issue and a technology
9 development issue.

10 On forestry land use, as it
11 happens, forestry and land use involves
12 forests and agricultural activity. That is
13 not just important in terms of timber products
14 and food products, but it is increasingly a
15 piece of the power generation and the
16 transportation equation.

17 And so we tend to think of these
18 issues in silos, and yet the future, the next
19 100 years, is about now the integration then
20 of the forestry and land use set of issues
21 into the personal transportation and the power
22 generation equation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 All right? And that's 90 percent
2 of the challenge. In the climate world,
3 however, the people working on this issue at
4 high levels of seriousness are largely the
5 environment ministers and the climate change
6 specialists. The people actively engaged in
7 forestry, actively dealing with electricity at
8 the policy level, the people actively dealing
9 with transportation systems, and with global
10 commerce, have been on the sidelines of the
11 public policy debate.

12 They are contributors, but largely
13 the sidelines. They don't show up to
14 meetings. They don't negotiate tax. They
15 aren't developing documents, or at least these
16 policies. They are sort of responders to what
17 has been largely perceived as an environmental
18 issue when, as I think I have just indicated,
19 climate change is not an environmental issue
20 at all.

21 The environmental issue was dealt
22 with when we understood that this is a serious

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 challenge that must be faced. And so once we
2 decided that, and it's sort of we with
3 environment on our business cards, kind of had
4 to step aside and say, "All right. Let's get
5 the economics guys in, let's get the finance
6 people, let's get the transportation people
7 and the energy people in, and they should be
8 designing the solutions."

9 Now, we are at the point today in
10 the international climate discussion, and we
11 are finally at the point in the domestic
12 discussion where those players are beginning
13 to show up. But we haven't given them an
14 agenda for action that is at the scale that's
15 really necessary.

16 And as I think you just heard from
17 Jeff Kupfer earlier today, you know, if you
18 don't have an agenda that a Deputy Secretary
19 or a Secretary of Energy can meaningfully
20 deliver on, you know, they don't go to
21 meetings. And negotiating international
22 treaty tax, and even what we're about to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the big debate in Congress, or we'll see
2 how big it is, next week in the Senate. Those
3 debates are sort of very far afield from the
4 essentials of what it's going to take to
5 deliver the solutions, so let me talk about
6 that a little bit.

7 As you look at projections in the
8 world today, 70 percent of future emissions
9 growth is going to come from the developing
10 world, and primarily a small number of large
11 emerging economies -- China, India, South
12 Africa, Brazil. You know, most of the growth
13 will come from a handful of large, emerging
14 economies.

15 In the developed world, our
16 emissions under a business-as-unusual scenario
17 are going to flatten out. And if you take
18 sort of some of the recent domestic
19 legislation here, and what Europe is doing,
20 there is no question within a reasonable
21 period of time in the developed world our
22 missions are actually going to come down in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 absolute terms, probably within 10 to 20
2 years, in the developed world.

3 And so as we look out on this
4 issue, the rise of emissions in the developing
5 world is going to overtake the decline in
6 emissions in the developed world, and will
7 still be on a trajectory of upward temperature
8 trends.

9 So as we think about our solutions,
10 we have to think about solutions that can run
11 in parallel that work not just for us here in
12 the developed world but work in sequence, in
13 real time sequence, in the developing world,
14 who are, again, continually relying on
15 abundant coal and natural gas in particular.

16 As we look at the rise of emissions
17 -- the rise of emissions -- emissions today
18 are about 27 gigatons of CO2 is emitted each
19 year. Under reasonable projections, that is
20 going to rise up to over 50 gigatons.
21 Notionally, on the international stage, we are
22 talking about, what does it take to cut that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 amount of emissions in half? Some have
2 suggested doing it in half by 2050. This is
3 an active point of debate.

4 But let's just think of, you know,
5 cutting the projected growth of emissions in
6 half on our current energy mix and pathways
7 with existing technologies. We're going to
8 need about, you know, more than 30 gigatons of
9 reductions. I've got the precise number on my
10 chart, but let's just use 30 as the strawman
11 example.

12 Thirty gigatons of reductions to
13 displace the current portfolio, the way we'd
14 otherwise see it build out. So what does 30
15 gigatons mean? How do I get 30 gigatons of
16 reductions from the energy system?

17 Well, one gigaton -- so what is one
18 gigaton? One gigaton is 268 zero-emission
19 coal-fired powerplants -- is one of the 30-
20 plus I need. I think I actually need 38. so
21 that's one.

22 Now, we don't have a single plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that does that. What's the time scale by
2 which we have the first plant that can cut
3 emissions in half? Ask yourself that, and
4 then ask yourself, if I need 38 gigatons of
5 emissions reductions between now and, let's
6 say, 2050, 2060, how do I build out globally
7 that infrastructure and capacity and
8 investment and everything to get to, let's
9 say, a thousand coal-fired powerplants that
10 have 50 percent CO2 emission reduction?
11 Carbon capture and storage or other
12 techniques.

13 All right? And if I do a thousand,
14 that gets me, you know, maybe two gigatons of
15 the 38 that I need. One gigaton is taking 270
16 million vehicles and raising them from 20
17 miles per gallon to 40 miles per gallon.
18 We're about to do that partly in America.
19 With the new energy bill that passed in '07,
20 we'll get 270 million vehicles to go from, you
21 know, roughly 27 miles per gallon, or actually
22 really 23 miles per gallon across the fleet,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and we'll get them up to 35 miles per gallon.

2 That was a legislated mandate.

3 So we'll get a piece of a gigaton
4 in the U.S. Now, you have to replicate that
5 all over the world. Maybe between now and
6 2050 I can get one or two gigatons out of that
7 through new fuel economy improvements.

8 I've got to get more electricity
9 into those vehicles. I've got to get more
10 biofuels in those vehicles if I want to change
11 that profile. Okay? So how do we get there?

12 Biofuels -- so one gigaton is
13 taking an area twice the size of the United
14 Kingdom, that is barren, so a barren, non-
15 producing area twice the size of the United
16 Kingdom, and converting it to biofuels
17 production that can be displayed -- deployed
18 in second generation biofuels, is one gigaton.

19 One gigaton is 136 nuclear
20 powerplants. There are 400-some-odd in the
21 world today; 104 in America. So let's
22 imagine, are we prepared as a globe in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 next 40 years, if we're serious about climate
2 change, are we prepared to quintuple the
3 number of nuclear powerplants? Are we
4 prepared to do that? I think my answer right
5 now is clearly not today.

6 There is one manufacturing facility
7 -- steel manufacturing facility in Japan that
8 is the sole facility that makes the
9 containment vessels for nuclear powerplants,
10 and their orders are booked through 2019.
11 Okay?

12 So even if you wanted to build
13 several dozen more nuclear powerplants in
14 America between now and 2020, somebody has got
15 to decide they are going to invest in the new
16 -- brand-new multi-billion dollar steel
17 facility, get it permitted, get it sited
18 someplace, and begin to book the orders
19 between now and 2020 to actually produce.

20 And so it's a big inelastic jump,
21 right? So you have one plant cranking out the
22 current rate of nuclear builds. And who is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to make that next huge investment? This
2 is bigger than building a shipyard, you know.

3 So who is going to make the leap on the faith
4 that the political process is going to allow
5 us to double, you know, triple, or quintuple
6 our buildout rate of nuclear powerplants?

7 And by the way, at the same time,
8 where are the Ph.D. graduates coming out of
9 the universities? Where are the trained
10 journeymen to actually do the construction at
11 the high standards that that is going to
12 require? And then, let's ask the same
13 question in a world in which we're going to
14 have carbon capture and storage: where are
15 the workers with the training, meeting the
16 skill sets necessary, meeting the liability
17 regimes necessary? How does that begin to
18 unfold?

19 So I give you this to give you a
20 sense. The scale of the enterprise vastly
21 exceeds the rhetorical skirmishing around this
22 issue of climate change. And the political

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 effort is largely dedicated into the -- sort
2 of the price of carbon debate, which does
3 nothing actually to address these fundamental
4 infrastructure challenges.

5 I'll give you one more example --
6 large-scale renewables. Wind, very promising,
7 commercially competitive today in many parts
8 of America. One gigaton -- today there are
9 700 -- it's about the equivalent of 74,000
10 one-megawatt wind turbines in the world today
11 -- 74,000. One gigaton is 270,000 of them.
12 All right? So imagine four gigatons. I need
13 a million of them.

14 We can't site -- you know,
15 communities will tolerate one or two or three
16 or a dozen of these things, but we're talking
17 about several thousand on a several square
18 mile area. We're talking about massive
19 windfarms. Okay? And then, the transmission
20 lines to link them up to the load centers that
21 are far away.

22 Are we prepared as a nation, before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I even ask the question, are we prepared in
2 the world, to undertake the infrastructure
3 change that will make that possible? And the
4 answer today is, no, we are not prepared to do
5 that.

6 So I could put the price of carbon
7 at \$10,000 a ton, but no price can be paid if
8 I don't have a transmission line to get the
9 stuff from where we can make it to where it's
10 going to be used. Okay? So, then, the price
11 just goes up and up and up because I've got
12 roadblock.

13 So I just want to underline, as we
14 think about this and we think about the price
15 of carbon and technology, there is -- you
16 know, there is this piece of lack of political
17 will and lack of political seriousness around
18 breaking open the bottlenecks that make this
19 future lower carbon world possible.

20 Let me add one more thing. We just
21 enacted reliability mandates, right? We have
22 reliability law now. The changeout of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 existing electricity generation required to
2 make this transformation -- well, it's got to
3 be done in a way that it complies with the law
4 on reliability, and it's got to be done in a
5 way that allows us not to take the huge
6 economic hit in terms of premature retirement
7 of capital stock.

8 So all of this is a foundation. So
9 I want to just give you a sense of the scale
10 of the challenge we have. Let me suggest that
11 we can be optimistic if we're serious, if
12 we're realistic, and if we allow -- sort of
13 take into account economics the way it should
14 rationally be taken into account. So let me
15 sort of give you a sense of that.

16 We're about to hear in the
17 congressional debate next week, or in two
18 weeks' time, the desire for a broad, one-size,
19 economy-wide target for the U.S. economy with
20 a broad, one-size mandate under cap and trade.

21 And this is cap and trade in name only. So I
22 have to be careful about using the word.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I am a huge fan of cap and trade.
2 I'm just not a huge fan of policy proposals
3 that aren't that. And so but you have this
4 huge mandate that is about to come, and
5 everyone is going, finally, we are going to
6 have a debate on climate legislation. Right?
7 That's what everybody is saying, and it's
8 economy-wide.

9 Now, let's consider what is about
10 to happen. The economy-wide legislation that
11 is about to be debated actually isn't economy
12 wide. It puts almost all of the burden on the
13 electricity generation sector. So somebody
14 has to pay for the bill.

15 So it's actually not economy wide.
16 It is a sector-based bill, primarily on the
17 electricity generation sector and a little bit
18 on the transportation sector. Okay? Nobody
19 else is subject to regulation under this bill.
20 Everybody else is subject to receiving money
21 under the bill from the electricity consumer.
22 Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's kind of like Las Vegas.
2 Everybody goes in thinking they're a winner,
3 not recognizing that everybody just paid to
4 get a portion of what they paid back. You
5 know, paid big time to get a portion of what
6 they paid back.

7 That's really what this is about,
8 okay? And so as we look at this, consider
9 that. But consider, more interestingly, the
10 fact that the Congress, the federal Congress,
11 has already enacted almost all of the
12 legislation we need, along with the states.
13 And let me walk you through this.

14 We had climate legislation in the
15 2005 energy bill. That is what set forth all
16 of the -- the massive ramp-up in
17 authorizations and appropriations for
18 technology advancement and deployment. We
19 have the new tax crediting authority. It gave
20 us the loan guarantee authority. So the '05
21 bill gave us the incentive side of the carbon
22 pricing equation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 As I stand here today -- today, \$50
2 billion is available for the deployment of
3 lower carbon, low air pollution -- you know,
4 greater energy security technologies. Today,
5 in this annual -- in this year, \$50 billion is
6 available, about \$5 billion plus, actually
7 almost \$6-1/2 billion in direct subsidies
8 through tax credits and other things, and
9 \$42.5 billion in loan guarantees. Okay? That
10 is up from \$1.7 billion when I started my job
11 in 2001. No other country comes close.

12 Now, remember, this is carbon
13 pricing. Right? You can either put a cost,
14 or you can do an incentive. They're the
15 opposite sides of the same coin. And we are
16 pricing carbon through this incentive, through
17 your congressionally-mandated incentive.

18 Some of these -- you know, some of
19 our subsidies add up to \$90 a ton worth of
20 incentives, not \$10 or \$15 or \$20. It's \$90 a
21 ton. So we are pricing carbon; we are just
22 doing it in an affirmative way. So that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 good. I mean, that's -- it means, also, we
2 only spend the money when we get the result.
3 That's the good thing.

4 But now we also have a fuel economy
5 mandate that is going to cost X billion
6 dollars. It's in the tens of billions of
7 dollars. We are going to have -- we have a
8 renewable fuel mandate that now the world is
9 telling us is too aggressive, and our view is
10 it's not aggressive enough. But we have a
11 fuel mandate in the law.

12 By the way, both of those use a cap
13 and trade system. We're just not capping
14 carbon. We're capping the fuel efficiency
15 credits, and you have alternative fuel
16 credits. It's a market-based regulatory
17 system, so it does have those efficiencies in
18 it. It's just not CO2 explicitly. As it
19 happens, both of them are CO2 implicitly.
20 They're carbon-weighted programs in terms of
21 who gets more credit. In fuel economy, you
22 get more credit if you're more fuel efficient.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 That's a one-to-one carbon reduction.

2 On renewable fuel, there is
3 categorization of the different fuel stocks.
4 You know, it's more clunky. But the lower
5 carbon fuel stocks get more credit than the
6 higher carbon fuel stocks.

7 We now have the world's most
8 aggressive mandate on lighting efficiency -- a
9 70 percent improvement of lighting efficiency
10 I think by 2018. I mean, that's incredibly
11 aggressive. No more incandescents by -- you
12 know, essentially by 2018.

13 We have a whole new slate of
14 appliance efficiency standards, and we're not
15 just talking about appliances like your
16 washing machine, we're talking about large
17 systems for industrial enterprises that are
18 included in this. And they will be out on
19 part with the rest of the world.

20 We have -- the Federal Government
21 has been ordered, because the President
22 already did by executive order -- and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Congress ordered us to do this -- adopted the
2 executive order. The Federal Government is
3 going to improve its energy efficiency by 30
4 percent by 2015.

5 To put that in perspective, we
6 accomplished the same level of efficiency in
7 the last 20 years, so we'll accomplish in less
8 than 10 years what the government did in the
9 last 20 years. Big deal, and the government
10 is going to be a 20 percent purchaser of
11 renewable fuel. Okay? Which is five percent
12 more five years faster than the private
13 sector. Okay? This is a big shift, all
14 mandatory.

15 You read the newspapers, right?
16 The U.S. Government, and especially President
17 Bush, only voluntary approaches to climate
18 change. Fifty billion in incentives, five of
19 the largest mandates, and most aggressive
20 mandates of any nation on earth, in law with a
21 bipartisan support, led by -- you know, you
22 have Nancy Pelosi and George Bush on the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 piece of legislation.

2 At the state level, the states have
3 authority, as you know, for renewable power.
4 A majority of our power generation is now
5 subject to those mandates. Each one of them
6 is a market-based regulatory system. They
7 have slightly different crediting criteria.

8 But it will mandate up to -- it
9 looks like it's going to be in the 8 to 10
10 percent range of mandated renewable power in
11 America when you add it all up. Took a
12 federalist approach, it's working. The states
13 are designing their systems relevant to their
14 own local circumstances.

15 We're going to get 8 to 10 percent
16 through a mandate with a federal goal of
17 trying to get to 20. But you can't get to 20
18 unless you get the breakthrough in this
19 infrastructure and technology that I just
20 talked about. So these mandates were very
21 carefully designed in terms of feasibility.

22 They will cost the consumer more,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 but you had a local legislative judgment as to
2 how much you were willing to spend. So each
3 state was able to decide for itself how much
4 more they are willing to spend to advance
5 renewable power. We think that's good; that's
6 democracy. Okay? That's a good outcome.

7 We are working with the states to
8 adopt new building efficiency standards,
9 seeking a 30 percent improvement in new
10 buildings and building retrofits. Now, you
11 have to design them differently for different
12 regions of the country. The DOE has done
13 that, and we are now pushing on the states,
14 encouraging them to adopt them as law.

15 Now, I ask you, when I give you all
16 of those mandates, and when I give you all of
17 those incentives, what's left to be debated in
18 what's supposed to be an economy-wide cap and
19 trade bill?

20 I would submit not much, and so we
21 are about to have a debate over how to put a
22 mandate -- a market-based mandate on top of an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 existing suite of market-based/sector-based
2 mandates. And then, you'll see in the Warner-
3 Lieberman legislation it would then redefine
4 all of what the legislatures have all just
5 agreed to within the space of the last two
6 years.

7 Okay. That is what is going on in
8 real terms. And so hopefully, you know, there
9 will be some rationalization. I mean,
10 hopefully, you know, legislators remember what
11 they did. It's hard for them sometimes. But
12 then we'll catch up, you know, and they'll
13 realize -- wait a minute.

14 We have -- actually, America has
15 democratically filled the space on every
16 essential piece of mandatory climate policy,
17 and we filled the space on every essential
18 piece of incentive policy. And so we ask
19 ourselves -- if we want to do more, how much
20 more should we do and at what cost? Okay?

21 And I would submit to you we are
22 doing now -- we are at a rate of buildout that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is at the outer edge of what we can possibly
2 achieve. And that's great. Okay? Now we
3 have to go after these bottlenecks. That's
4 really where the action is, and people are not
5 paying enough attention or seriousness to
6 that.

7 Okay. So just a few more things
8 now to put this into the international
9 context. Actually, no, let me say one more
10 thing domestically. Price of carbon -- price
11 of carbon -- I gave you two pieces, the price
12 that is embedded in these existing mandates,
13 and the price that is clearly embedded in our
14 incentives.

15 Well, there's one that we haven't
16 talked about, and that is the current price of
17 fossil fuel in America today. Prices for
18 fossil fuel in America today are higher than
19 the worst-case projections for if we had
20 implemented the Kyoto Protocol. When you look
21 at the -- you know, look at 1998, all of that
22 economic analysis. We are way above where we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would have been if we had implemented the
2 Kyoto Protocol.

3 A couple of things didn't happen.
4 One is it didn't break the economy. Okay?
5 So, you know, we can understand that our
6 economies can absorb a lot more than we
7 thought. But the other thing that didn't
8 happen is our emissions are not seven percent
9 below 1990 levels.

10 And the theory was, by raising
11 prices, by raising the price of gasoline by
12 one dollar, which is what I think they were
13 talking about, in 1998, that we would drive
14 emissions down, right? We'd drive them way
15 down. And by raising the price of electricity
16 by whatever it was -- I think it was 20
17 percent or 30 percent -- collectively, that
18 would drive us to seven percent below 1990
19 levels.

20 Well, guess what? It didn't. So
21 there is something more going on here than
22 just price.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Now, I think if President Bush had
2 proposed in 2001 to raise gasoline prices by
3 \$3 a gallon, he would have been heralded
4 around the world as the champion of climate
5 change policy. Right? And yet here we are
6 with -- you know, with a price increase of \$3
7 a gallon, and yet now we want to pile on. You
8 know, there is also a weird thing in this
9 debate. How do we -- if a dollar was enough
10 in 1998, why isn't \$3 enough now? In terms of
11 the pricing signal.

12 That's why I want to come back.
13 There is more going on here. It's the
14 inelasticity of these systems that we have to
15 go after, and that's where the technology
16 advancement agenda is essential to our future.

17 And so we really need to focus our eye on
18 that.

19 All right. Finally, on
20 international -- we are trying to get a new,
21 more constructive conversation going. We are
22 seeking to do four things -- a few things this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 summer, but four in particular. We are trying
2 to see if we can get a globally shared vision
3 on a long-term goal for absolute emission
4 reductions.

5 We think it's important that
6 there's a collective sense of the continued
7 urgency of this issue, a sense of a level of
8 effort that we want to orient ourselves
9 toward, as a guide post for trying to get some
10 real decisions about some of these challenges.

11 You know, not setting unrealistic
12 goals and then waiting for them to happen, but
13 getting a real political discussion about what
14 it actually takes to achieve these
15 opportunities, including carbon capture and
16 storage and more efficient use of our fossil
17 systems. So that's a long-term goal.

18 We are trying to get all of the
19 major economies -- there's 17 of us, you could
20 add a few more if you wanted. There are 17 of
21 us responsible for 90 percent of energy use,
22 and that includes China and India, South

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Africa, Brazil, Mexico.

2 All of these economies must be
3 prepared to have their national strategy
4 reflected as internationally binding
5 commitments. We need that coming together of
6 ambition and of shared accountability. But we
7 can do it in a much more constructive and much
8 less punitive way than has been discussed in
9 the past, and this is really what our view is.

10 If we can get everybody on board
11 and participating in a shared strategy,
12 recognizing key differences in each country's
13 own demographics and energy mix and technical
14 capability, we can have a much more
15 constructive conversation about these
16 solutions, and hopefully do it together.
17 Right? If we had common standards in the
18 biofuels area, you know, more consistency in
19 our infrastructure buildout, we could get the
20 intermodality that makes us much more
21 efficiency.

22 But that's rolling up your sleeves.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The people negotiating these issues in the
2 U.N. are not talking about that. They're not
3 doing sort of the bottom-up work of how you
4 get common standards, how you get -- you know,
5 get the modalities, the intermobility. That's
6 the kind of conversations we're trying to now
7 start for the first time in the climate
8 process.

9 And then, third, to support that,
10 we want work in key sectors. I mentioned the
11 biggies. You could throw in aluminum, steel,
12 and cement, and chemicals. But after about
13 eight sectors, you're pretty much covering
14 most activity that is responsible for
15 emissions. And if we can get those sectors
16 really working toward more common strategies
17 and common good, then we want to facilitate
18 that. We don't want to mandate that. We want
19 to facilitate that, because that's how markets
20 work.

21 You know, I'm more efficient than
22 you are, and so, you know, you want to find

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out how to do that. You know, a big piece of
2 that is just getting people together to sort
3 that out.

4 And then, finally, one of the
5 earliest and easiest things we can do -- and
6 this is going to matter to all of you in this
7 room -- curiously, notwithstanding the recited
8 urgency of the climate change issue, all the
9 nations of the world happen to impose
10 sometimes quite steep tariffs on the sales of
11 technologies and services that actually make a
12 solution possible.

13 So while this is one of the most
14 critical issues, you know, that we are dealing
15 with on a global scale, why is it that if I'm
16 selling a clean energy system to another
17 country the government should be collecting 26
18 percent of that transaction?

19 What happens is the government
20 doesn't collect 26 percent of that
21 transaction. The sale never occurs, because
22 it exceeds the profit margin. And so we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually have a massive constraint on the sale
2 of existing technologies and services just
3 because of tariffs -- tariffs and other non-
4 tariff barriers to the -- again, and so that's
5 also a sign of seriousness.

6 Are we serious? If we were serious
7 about climate change, we'd have zero tariffs
8 and we'd have it tomorrow. I mean, that's the
9 easiest way you can help the price of carbon
10 -- by making the price of the technologies to
11 lower it much less expensive. So that's what
12 we're working on, too.

13 And then, we hope to create a
14 massive new clean energy technology fund to
15 really goose this along, so we can get zero-
16 out tariffs. If we can provide tens of
17 billions of dollars of new, you know, low-cost
18 financing, we can also help get the current
19 stuff we've got out there into the world.

20 So that's my whole spiel. You
21 know, I wanted to be sure you had the whole
22 picture. I can take a few questions, but I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 obviously don't want to eat into the rest of
2 your agenda.

3 So thank you. Thank you.

4 (Applause.)

5 And by the way, if there's media
6 here, please, I talk to you all the time, and
7 I'm happy to talk to you after the meeting.
8 But I'd prefer to hear from the members of the
9 Council.

10 MR. BECK: Let's start with Mr.
11 Altmeyer.

12 MR. ALTMEYER: Thank you, Jim.
13 Appreciate the overview. Could you elaborate
14 a little on the international clean energy
15 fund? The President had asked Secretary
16 Paulson to take the lead. There really hasn't
17 been much in the news media with respect to
18 how that has evolved or developed.

19 MR. CONNAUGHTON: Yes. What we
20 announced is we want to create a new clean
21 energy technology fund. The current
22 discussion is it would be sort of administered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 by The World Bank, but just so you -- that's
2 just where it's housed. It would be a fund
3 led by donors with key input from the
4 recipient countries, and we're trying to
5 generate about \$10 billion, at least as a
6 starter.

7 The U.S. -- the President has
8 committed \$2 billion, and that's usually what
9 our proportion is for these kinds of funds.
10 And the idea is that this would be dedicated
11 to high-quality projects that are scalable.
12 So this would be -- this would be sort of
13 jumpstart funding to get key technologies into
14 new markets.

15 An example that I give is methane
16 capture and recovery technology. We would
17 provide concessional financing leveraged with
18 development bank financing, leverage with
19 private sector financing, to get technology
20 that we use routinely in America into a place
21 like India.

22 And the idea is once you get a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 couple of projects going with this fund, the
2 private market is just going to take over,
3 because it is a highly profitable investment.

4 It just needs that jumpstart.

5 And so we were looking for high
6 quality projects that are scalable would be
7 one of the concepts. I mean, there's lots of
8 different concepts that are floating around.

9 And the point is leverage. When we
10 say \$10 billion, you're talking about the --
11 really, the sort of guarantee side of some of
12 these, you know, slightly riskier investments
13 going into some countries where it's a little
14 more challenging, and then that would give the
15 -- you know, Wall Street and others -- you
16 know, as you know, the venture capital guys
17 and Wall Street are creating these huge energy
18 funds now, and this would be a way to tether
19 that to some sort of government -- you know,
20 government-facilitated transactional outcomes,
21 because it's -- you know, again, the markets
22 just are not as free in some of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 countries.

2 But as you can imagine, we can't
3 provide concessional financing. It wouldn't
4 make sense to buy down the cost of financing
5 only to see the cost of it go back up again
6 through tariffs. And the other thing, we just
7 have to, you know, recognize it's -- you know,
8 the U.S. would have great difficulty having
9 the taxpayer, if you will, sort of bear some
10 of the cost -- you know, the cost of the lower
11 financing, only to see that go into a
12 government treasury. I mean, that's not
13 achieving the goals.

14 So we want to be sure that 100
15 percent of the money is going to 100 percent
16 of an energy project. And so these are the
17 kinds of issues we're discussing.

18 Lots of interest, so I think -- you
19 know, in the G8 there is growing interest. We
20 are still working on getting everyone
21 together. But outside of the G8, there are a
22 number of non-G8 countries who have already

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 said, "We would like to be part of this."

2 And, importantly, for the first
3 time in my experience, we have some key
4 potential beneficiary countries. Mexico, for
5 example, has suggested that they want to be
6 both a donor and a recipient, and that would
7 be a wonderful shift and sort of confidence-
8 raiser globally, because, as you know, many
9 countries of -- especially the large, emerging
10 economies, they have needs, but they also have
11 resources.

12 MR. ALTMAYER: Is there an
13 objective to have an announcement, or to have
14 an agreement by the G8 in July?

15 MR. CONNAUGHTON: The President
16 said in his speech that we're going to try to
17 get agreement with -- from the G8 on this, as
18 well as others. I don't want to prejudge the
19 G8. I mean, this is -- you know, this is a
20 complicated thing to produce, and we're trying
21 to get it together as quickly as we can.

22 MR. FISCHER: Mr. Chairman, John

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Fischer, Air Control Science. I have a
2 question about carbon tax, and what do you
3 think the chances are of there being a carbon
4 tax in the next administration? What might be
5 the cost per ton and positive and negative
6 implications?

7 MR. CONNAUGHTON: A carbon tax by
8 name seems highly improbable. And even as --
9 a carbon tax, in the setting of these
10 inelasticities I'm talking about, would
11 actually be not effective. It would just
12 simply be a payment for your pollution rather
13 than a mechanism that would do very much to
14 drive down pollution.

15 As I indicated, we already have the
16 mandates scaled to, you know, reasonable
17 investment cycles and technology deployment
18 cycles. We already have those mandates. So
19 carbon tax wouldn't do anything to change
20 those mandates. It would probably make them
21 more expensive, period.

22 So I think it's just -- you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when you finally get to the wonkie weeds of
2 it, I think it's improbable. But politically,
3 I think it's improbable.

4 However, I do want to note, you
5 know, the bill that is going to be debated
6 next week is not a cap and trade bill. It's a
7 tax and spend bill. So -- because it doesn't
8 work like a cap and trade is supposed to work.

9 A cap and trade is you put the cap on, and
10 then the trading occurs in the private sector
11 and the government never touches the money.

12 This bill would collect all of the
13 money ultimately, and then you'd have a
14 massive redistribution mechanism that would go
15 not only through the Congress but also through
16 this carbon credit trading board. So this is
17 kind of like the mother of all taxes and the
18 mother of all earmarks.

19 And that's just not the way --
20 that's not the way to do it right. It's
21 supposed to be a free, unregulated market, to
22 seek the greatest efficiency. And, instead,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this would be -- you know, this would be the
2 most incredible level of market oversight and
3 market sort of political manipulation that one
4 could possibly conceive for these programs.

5 And so, you know, well-intentioned,
6 but just terribly badly designed. And so I
7 think we'll find that out next week,
8 especially the time with -- again, with energy
9 prices so high, it's just beyond me that we
10 would seek to further increase energy prices
11 without the promise of any significant change
12 in the technology deployment cycles.

13 All it will do is transfer -- as I
14 indicated, transfer wealth from the
15 electricity consumer, many of them who are --
16 you know, don't have a lot of wherewithal --
17 to other entities. That's just -- it's a
18 wealth transfer, okay, without a significant
19 contribution to emission reduction. And
20 that's a problem all by itself.

21 So, again, I think the prospects
22 are low this year, but I have to say we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these budget bills that have to pass. Those
2 are climate legislation, and that will pass.
3 Tens of billions of dollars. It's a big deal.

4 The farm bill will pass one way or the other.

5 The current farm bill is terrible. But on
6 the conservation side, there are programs on
7 biological sequestration.

8 So, by the way, your government is
9 directly subsidizing our farmers to do
10 biological sequestration. We don't need
11 electricity consumers to do that. The general
12 taxpayer is doing that, so we are spreading
13 the opportunity of biological sequestration
14 across all of us. We don't need a premium for
15 the electricity generator to do that.

16 That's just a fundamental
17 difference of opinion, because either way you
18 are moving money around. And we just thought
19 we'd do it through a much higher accountable
20 mechanism that actually delivers the outcomes
21 we're looking for.

22 Yes. One more?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MIGDEN-OSTRANDER: Janine
2 Migden-Ostrander, the Ohio Consumer's Council.

3 Could you expand a bit on your point about
4 the 26 percent on the tariffs? Is that being
5 imposed by the United States, other countries?

6 Could you explain that a little more?

7 MR. CONNAUGHTON: Yes.

8 MS. MIGDEN-OSTRANDER: Thank you.

9 MR. CONNAUGHTON: We have a list of
10 about 150 environmental goods and services.
11 About 40 of them are clearly sort of climate-
12 friendly, if you will. In China and India and
13 a number of Asian countries, the current
14 tariffs are about 26 percent.

15 The ability to go higher on some of
16 these products exists. They could go even
17 higher than 26 percent, but right now it's --
18 you know, there are some as high as 26
19 percent, and all the way down to as low as two
20 percent. America, with our trading partners
21 in Europe, we have relatively low tariffs vis-
22 a-vis each other -- two percent, four percent,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 five percent.

2 And then, we use that as a
3 countervailing way to China and India, who
4 have much larger tariffs. So under the WTO
5 rules, we -- if we go to zero, we have to
6 provide zero to everybody, if we did it all by
7 ourselves, but nobody else would have to
8 reduce. And so we end up with these
9 countervailing tariffs, which is just
10 nonsense.

11 And what happens, though, in
12 America we set the tariffs. And because we
13 have a non-negotiable system, those are the
14 tariffs. In China and India, what happens is
15 it becomes a negotiable item of every
16 transaction. So while it's 26 percent, if you
17 have your smart China people working the
18 transaction, you might be able to get it down
19 to 15 percent.

20 But the government is still
21 collecting a piece of the deal, and, imagine,
22 we're not talking about big, state-of-the-art

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 technologies. We're talking about
2 technologies that we used -- we've been using
3 since World War II in some instances. These
4 have, you know, commodity-type profit margins.

5 So the tariff anywhere, you know,
6 above a certain number just makes the
7 transaction not worthwhile, and so it's highly
8 variable. But if we could get agreement even
9 on a list of 40 of these categories, we're
10 talking about -- you know, The World Bank has
11 estimated we could increase global trade by up
12 to 14 percent, with just -- with no effort
13 and without even having to do anything hard.
14 Just have the leaders, you know, write that
15 they want zero tariffs.

16 But, so we did it for information
17 technology. That's the other thing. This is
18 not a new idea. The world came together and
19 said, "Let's zero out tariffs on key
20 information technology systems." Boom, look
21 at India, one of the world's greatest
22 purveyors of the services surrounding IT.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Well, it's because it's not subject to any
2 tariffs.

3 We could do that with clean energy
4 systems, too. Why not? It's easy. It
5 requires political will.

6 Thank you very much.

7 CHAIR NELSON: Thank you.

8 (Applause.)

9 Next, I'd like to call up Bob Beck,
10 who is going to give the report of the
11 Nominating Committee on behalf of Steve Leer.

12 MR. BECK: Thank you, Madam
13 Chairman. I am here today on behalf of Steve
14 Leer, who is a former Chairman of the National
15 Coal Council and chairs the Nominating
16 Committee for the Council.

17 He is assisted by two other former
18 Chairmen -- Cliff Miercort and Joe Craft --
19 and they volunteered for those -- for that
20 assignment as the Nominating Committee back in
21 January of this year and have been working on
22 a slate of officers for your consideration and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 action today as we move into the new term of
2 the Council.

3 So for the next two years, what
4 Steve and the Nominating Committee propose is
5 that Mike Mueller run as the Chair of the
6 Council, and Rich Eimer as the Vice Chair.
7 Those are the only two elected offices that
8 the Council has. Following action, then,
9 other officer positions are appointments by
10 the Chairman.

11 So, Madam Chairwoman, I am
12 proposing on behalf of Steve that the Council
13 move and take action on that slate of
14 nominees.

15 CHAIR NELSON: We have a motion.
16 Do we have a second?

17 PARTICIPANT: Second.

18 CHAIR NELSON: Any questions or
19 comments?

20 PARTICIPANT: Can I ask if anyone
21 else would care to --

22 MR. BECK: Oh. Okay. We do have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 motion and a second, but if -- the nominations
2 are still open. If there is anyone else who
3 would like to volunteer to run, they certainly
4 are free to do so.

5 CHAIR NELSON: Not seeing a
6 stampede --

7 (Laughter.)

8 All those in favor?

9 (Chorus of ayes.)

10 Opposed?

11 (No response.)

12 Thank you.

13 (Applause.)

14 MR. BECK: That concludes the
15 report of the Nominating Committee. And I
16 guess Mike takes over.

17 CHAIR NELSON: Yes, he does.

18 MR. MUELLER: Thank you, Bob.
19 Thank you, Georgia.

20 I look forward to serving this
21 Council for the next two years as Chairman,
22 and I would also like to thank Georgia for her

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 last two years of leadership and ask you to
2 join me in thanking Georgia.

3 (Applause.)

4 She did a great job.

5 This meeting is duly authorized and
6 publicized and is open to the public. The
7 public can submit comments to the Department
8 of Energy, or if any individual wishes to
9 speak they may do so at this meeting. Those
10 who wish to speak may do so at this time.
11 Does any member of the public wish to speak?

12 (No response.)

13 Let me announce that we have
14 scheduled the next full Council meeting for
15 the week of November 10 -- November 10, 2008,
16 with the exact date and location to be
17 determined.

18 And with that, if there is no other
19 business to come before the Council, we stand
20 adjourned.

21 Thank you.

22 (Whereupon, at 11:59 a.m., the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 proceedings were adjourned.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com