

UNITED STATES OF AMERICA

+ + + + +

DEPARTMENT OF ENERGY

+ + + + +

NATIONAL COAL COUNCIL

+ + + + +

2007 SPRING FULL COUNCIL MEETING

+ + + + +

THURSDAY,
JUNE 7, 2007

+ + + + +

The Commission met in the Fairmont Hotel,
2401 M Street, N.W., Washington, D.C. at 9:00 a.m.,
Georgia Nelson, Chairperson, presiding.

PRESENT:

GEORGIA NELSON	Chair
DAVID SURBER	Communications Committee Chairman
RICHARD EIMER	Finance Committee Chairman

(See Members List, enclosed, for the rest.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

AGENDA

PAGE

WELCOME/OPENING REMARKS:

Georgia Nelson	3
MOTION TO APPROVE MINUTES:	5
VOTE TO APPROVE MINUTES:	5

DEPARTMENT OF ENERGY:

Deputy Secretary Clay Sell	7
QUESTIONS:	25

INDUSTRIAL ENERGY CONSUMERS OF AMERICA:

Paul Ciccio	28
QUESTIONS:	38

COUNCIL BUSINESS

COMMUNICATIONS REPORT:

David Surber	45
--------------------	----

FINANCE REPORT:

Richard Eimer	49
MOTION TO USE SAME AUDITING FIRM FOR 2007:	49
VOTE TO APPROVE MOTION:	50

SECRETARY'S REPORT:

Secretary Larry Grimes	52
------------------------------	----

MIT - "The Future of Coal":

John Deutch	63
QUESTIONS:	86

HUNTON & WILLIAMS - NSR AFTER ENVIRONMENTAL DEFENSE:

Bill Brownell	95
QUESTIONS:	115

HEADWATERS, INC. - CTL ACTIVITIES:

John Ward	121
-----------------	-----

TXU WHOLESALE - STUDY WORK GROUP PRESENTATION:

Mike McCall	149
MOTION TO ADOPT REPORT:	164
VOTE TO APPROVE MOTION:	165

OTHER BUSINESS:

Georgia Nelson	169
----------------------	-----

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 8:59 a.m.

3 CHAIRPERSON NELSON: The regular
4 meeting of the National Coal Council is hereby
5 called to order. At our meeting this morning, we
6 are fortunate to have a number of very special
7 guests. We are pleased to welcome this morning
8 the Deputy Secretary of Energy, the Honorable Clay
9 Sell. Also, we have the following speakers on
10 today's agenda: Professor John Deutch of MIT,
11 Bill Brownell, Hunton and Williams, John Ward of
12 Headwaters Incorporated and Paul Ciccio,
13 Industrial Energy Consumers of America.

14 We will take action on the draft study
15 prepared at the request of Secretary Bodman which
16 addresses technologies to manage, carbon dioxide
17 emissions from the use of coal. I want to make a
18 special announcement with respect to that, that a
19 special panel of Council officers and Members, who
20 have written this report will be acting on this
21 this morning concerning technologies, will be
22 present at the end of the meeting for an on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 record Q&A session. This for the benefit of all
2 Members of the Working Press, because the report
3 is so long and technically complex that we believe
4 those who wrote it are best able to answer your
5 questions. That will immediately follow the
6 meeting.

7 In addition to the speakers, an action
8 on the new study today we must also conduct the
9 regular business of the Council and we have a very
10 full agenda to do so.

11 This meeting is being held in
12 accordance with the Federal Advisory Committee Act
13 and the Regulations that govern that Act. Our
14 meeting is open to the public in addition to
15 representatives of our Members.

16 I would like to welcome guests from the
17 public who have joined us today. If any of the
18 representatives of our Members care to offer
19 comments during our meeting, they are welcome to
20 do so. And opportunity will be provided for other
21 guests to make comments at the end of the meeting.

22 The full and complete minutes of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 meeting are being made as well as a verbatim
2 transcript. Therefore, it is important that you
3 use the microphone when you wish to speak and that
4 you, please, begin by stating your name and
5 affiliation.

6 Council Members have been provided a
7 copy of the agenda for today's meeting. I would
8 appreciate having a motion for the adoption of the
9 agenda.

10 PARTICIPANT: I move.

11 CHAIRPERSON NELSON: Do I have a
12 second?

13 PARTICIPANT: Second.

14 CHAIRPERSON NELSON: All in favor?

15 ALL: Aye.

16 CHAIRPERSON NELSON: Opposed? Thank
17 you. The Secretary has also appointed new Members
18 to the Council in 2007. I would like to ask that
19 if any of these new Members are here, you, please,
20 stand as I read your name.

21 Stevan Bob, BNSF Railway; Paul Ciccio,
22 Industrial Energy Consumers of America; John

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Eaves, Arch Coal, Inc.; Mark David Goss, Kentucky
2 Public Service Commission; John Norris, Fuel Tech,
3 Inc.; John Rockett, The Powell River Project
4 Research and Education Center; Fred Reuter, Saint
5 Xavier High School. Welcome to all of you.
6 Congratulations on your appointments.

7 (Applause)

8 CHAIRPERSON NELSON: We are also
9 pleased to welcome Tom Shope, Acting Assistant
10 Secretary for Fossil Energy as the designated
11 federal official for our meeting. Tom, raise your
12 hand. There he is. Okay.

13 Our first speaker, Deputy Secretary
14 Clay Sell. He is here? He is arriving. Okay.
15 Probably would be good to wait to introduce him
16 until he arrives. Clay Sell was sworn in on March
17 21, 2005 as the Deputy Secretary of Energy after
18 being unanimously confirmed by the United States
19 Senate.

20 He also serves as the Department's
21 Chief Operating Officer and assists the Secretary
22 with policy and programmatic oversight over the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 100,000 employee, \$23 billion agency. Previously,
2 Special Assistant to the President for legislative
3 affairs, member of the President's National
4 Economic Council and among many other prestigious
5 positions at both the White House and in the
6 Senate.

7 It is indeed my pleasure to introduce
8 Deputy Secretary Clay Sell.

9 (Applause)

10 DEPUTY SECRETARY SELL: Good morning.
11 I was in the back of the room drawing myself a cup
12 of coffee whenever I heard Georgia begin the
13 introduction, so I will try to drink fast.

14 It's a great pleasure for me to be here
15 on behalf of Secretary Bodman to welcome this
16 gathering of his distinguished or the Department's
17 distinguished National Coal Council. And we look
18 very much forward to what will come out of today's
19 gathering. And I'm personally grateful to have
20 this opportunity to address you. So thank you and
21 thank you, Georgia.

22 I do want to stop a moment before I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 begin my remarks and take a moment to honor the
2 late Senator Craig Thomas. As everyone in this
3 room knows, Senator Thomas was an important voice
4 in shaping this nation's energy policy for over 10
5 years. He was a dedicated and distinguished
6 Statesman. He was a champion. A champion for the
7 enduring importance of coal in our nation's energy
8 future.

9 He was a friend to all of us. He was a
10 friend to the Department of Energy and for my sake
11 and for the Department's sake, he will be sorely,
12 sorely missed.

13 The Department of Energy values the
14 input and insights we get from the National Coal
15 Council. And you all have been an important part
16 of our efforts to address our nation's short and
17 long-term energy needs. Coal has a vital role, a
18 vital role in the President's vision for greater
19 energy security and I will speak to that at
20 greater length in a moment.

21 But before I do that, I believe it is
22 important to provide some context, the context of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the new energy reality that we face
2 internationally and domestically and I want to try
3 to take a few moments to explain overall the steps
4 we are taking inside the Bush Administration to
5 address it.

6 But I believe we really are facing, in
7 this country, a new energy reality that we have
8 not faced at any other time in our history. And
9 perhaps some old hands will say that is an
10 overstatement, but I don't think it is. And I
11 think there are three principal reasons why that's
12 not the case.

13 We have seen an incredible surge in
14 demand over the last three to four years. A surge
15 that was not properly anticipated by the world's
16 producers and that has resulted in a very tight
17 supply/demand balance worldwide, which has driven
18 prices up to record highs. Now, have we seen that
19 before? Yes. And will the market respond to
20 address that? I believe it will. It certainly
21 will.

22 But there are two other factors at play

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 as well. With the increase, with the war on
2 terror and the increased threat that terrorism
3 faces or presents to the world's energy
4 infrastructure and the world's flow of energy
5 trade, that is an added pressure and instability
6 in our system. And I would argue we have even
7 seen elements of those types of threats before as
8 well.

9 But we now overlay on top of this
10 incredible supply/demand balance a world energy
11 infrastructure threatened by instability and
12 terrorism and we overlay on top of that now the
13 prospect of a carbon constrained energy future, a
14 world where actual carbon emissions will have to
15 reduce and the policies will be put in place
16 worldwide in order to force that to happen.

17 And that, my friends, I believe puts us
18 into a new energy reality that we have never seen
19 before. And quite frankly, I don't think it is
20 one that is fully appreciated by policy makers
21 here in Washington or in the Congress, because we
22 still see traditional opposition to the energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 solutions that we know we must pursue. We still
2 see the traditional kinds of energy -- of
3 opposition to the policies that we know we need to
4 pursue.

5 So I think you and we in the
6 Administration must together do a much better job
7 talking about this new energy reality. What it
8 means for our country, what it means for our
9 economy, what it means for our economic
10 competitiveness going forward. It is a serious
11 issue that requires, in my judgment, a much higher
12 level of debate and discussion.

13 So as we think about that problem, what
14 is our overall policy inside the Bush
15 Administration to address it? And I think it's a
16 pretty sound policy. And I put it into kind of
17 five principal baskets. The first one is we need
18 more traditional energy supplies and principally
19 oil and gas from a greater diversity of sources.

20 Internationally, we need a more certain
21 and reliable investment climate and we need more
22 access to get the hydrocarbons that are in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ground produced into market. But here at home, we
2 need to provide greater access as well on the
3 north slope of Alaska to the rich resources of our
4 outer continental shelf into other areas. And
5 although we have made some progress, some small
6 progress in the last few years, we have not made
7 nearly the progress that I would argue that the
8 problem requires.

9 Number one, we need more oil and gas
10 and other traditional energy supplies from a
11 greater diversity of sources here at home and
12 internationally.

13 Secondly, we need more alternatives.
14 This effort to develop more alternatives has been
15 central to at least three of the President's State
16 of the Union Addresses in the years he has been in
17 office. He has talked about the role that
18 hydrogen must play. Last year he talked about the
19 role that a substantial increase in biofuels must
20 play for the transportation sector.

21 Two years ago, he proposed the Advanced
22 Energy Initiative which significantly increased

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our R&D budget for coal, for nuclear, for wind,
2 for solar, for other alternative technologies.
3 Alternative technologies must and will be central
4 to how we address this new energy reality.

5 The third point is efficiency. We've
6 got to have more efficiency in our economy. We
7 have seen substantial efficiency gains in the
8 industrial sector over the last 20 years,
9 impressive efficiency gains. We have not seen
10 comparable efficiency gains in the housing and
11 consumer consumption or in the transportation
12 fleet, particularly in the passenger vehicle
13 fleet.

14 And so, for example, that's why the
15 President proposed in the State of the Union
16 Address this year the substantial increase in
17 passenger fleet fuel economy with a proposal to
18 reform the CAFE Program and increase it,
19 potentially around 4 percent a year beginning in
20 2010. That represents a significant potential new
21 savings, a significant potential new energy source
22 in the future years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Fourth, in everything that we do,
2 particularly as it relates to the development of
3 new technologies and the policies that we put in
4 place, going forward we must have a bias for lower
5 carbon and no carbon technologies.

6 Now, that's not a particularly pleasant
7 message to come and deliver to the National Coal
8 Council, but I think it's one that you have come
9 to yourself, if I understand correctly what you
10 will be presenting to us in your report. We have
11 to embrace this issue. We've got to grapple with
12 it. We've got to realize how hard it's going to
13 be and make the investments to allow the industry
14 to respond in a way that allows coal to be part of
15 our future, but with lower carbon technologies.

16 And the fifth thing, from a general
17 policy standpoint that we focus on, is
18 infrastructure. The policies, the incentives that
19 allow us to build out more infrastructure, to
20 rebuild a substantial amount of our infrastructure
21 and to better secure it. And that's a real
22 challenge that we have coming over the next 20

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years.

2 I'll give you one example. The Energy
3 Policy Act proposed a very minimal new authority
4 to the Federal Government that would allow for
5 ease and siding transmission lines, new
6 transmission lines which are critical to the
7 increase of coal-based generation in this country.

8 And there is substantial opposition. Kind of the
9 same traditional kind of opposition against new
10 infrastructure that we have seen in this country
11 for the last 50 years and that must change. And
12 it must change based on a better understanding of
13 this new energy reality.

14 But let me return more specifically to
15 issues on coal where I think it is important to
16 discuss the term, the highly successful term of
17 clean coal. It is a term that is used often in
18 the lexicon of your interests -- of your industry
19 and in the lexicon of Government. But I believe
20 it understates the significance of the underlying
21 issues involved.

22 Because when we talk about clean coal,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it inevitably leaves the focus on coal, when the
2 focus should really be on the technology that
3 enables us to use coal more efficiently and in a
4 cleaner more environmentally secure manner. I
5 believe the terms that we use matter as we talk
6 about this new energy reality, because we must
7 remind people that there are great challenges to
8 confront if we want to continue to rely on coal as
9 a major energy resource, while at the same time
10 reduce the amount of greenhouse gas emissions in
11 the environment.

12 And so the President has made research
13 development and implementation of advanced coal
14 technology a priority for this Government and this
15 nation. But while this technology holds great
16 promise, we must be realistic about the
17 difficulties in the scale of its implementation.

18 As you all know, advanced coal
19 technologies have major cost, integration and
20 reliability hurdles that must be overcome before
21 they can be widely deployed. We, in the Federal
22 Government, seek to address those challenges by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 establishing partnerships with the private sector,
2 creating innovative new programs, such as the
3 Clean Coal Power Initiative and through the use of
4 loan guarantees and tax credits.

5 Today we see one such result of these
6 partnerships with the private sector as the
7 National Coal Council presents the Department of
8 Energy with its report on technologies that will
9 help reduce or capture and store carbon dioxide
10 emissions.

11 Secretary Bodman requested this report
12 about a year ago, I believe, and I know its
13 conclusions will receive careful study by our
14 Department. The report is a culmination of one
15 year of hard work by many of you in this room and
16 Secretary Bodman and the entire Department. Thank
17 you.

18 Another example of partnership is
19 through our work with the seven regional Carbon
20 Sequestration Partnerships, which are conducting
21 field tests of deep geologic storage. This week
22 we received applications from each of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 partnerships that will put large volume CO₂
2 Injection Projects in place throughout the United
3 States.

4 These projects will demonstrate the
5 ability to permanently and safely store CO₂ from
6 power plants and other industrial sources. These
7 large scale tests are needed to prove that
8 sequestration technologies can be commercialized
9 and in the future can be used to effectively
10 mitigate greenhouse gas emissions.

11 Our engagement on the FutureGen Project
12 is another example of our partnership efforts on
13 coal. As most of you know, the field of candidate
14 sites has been narrowed to a final four and we are
15 expecting a final decision on the site from the
16 FutureGen Alliance this fall. For us, FutureGen
17 is a very exciting project, but as with any
18 project of this complexity and of this magnitude,
19 cost is increasingly becoming an issue of concern.

20 And it's a matter that we are taking very
21 seriously at the Department of Energy.

22 I know that all of you are aware of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recent escalation of costs in the heavy industry
2 sector, so we are working closely with our
3 partners, the FutureGen Alliance, to identify ways
4 to limit the project costs of the FutureGen
5 Project and to ensure that the project is not just
6 technically feasible, but that it is financially
7 and politically sustainable as well.

8 Finally, I'm pleased to make an
9 announcement today regarding our work with the IRS
10 to complete the awarding of \$1.65 billion in tax
11 credits for advanced coal technology projects
12 authorized by the Energy Policy Act. The IRS and
13 DOE share a responsibility for these tax credits,
14 with DOE in charge of certifying the projects and
15 the IRS responsible for awarding the credits.

16 These tax credits are an important way
17 to foster the early deployment of advanced coal
18 and gasification projects in commercial use. Now,
19 you may recall, I know that you do, that last
20 November the IRS awarded \$1 billion in credits to
21 support nine advanced technology plants in the
22 categories specifically defined by the Act.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Two for IGCC generation using
2 Bituminous coal, one IGCC project using Lignite,
3 two using advanced coal generation technology,
4 other than gasification, and four using
5 gasification not limited to coal.

6 The application period for the second
7 round of tax credits began immediately after these
8 awards were announced. This morning, I'm pleased
9 to announce some important new details about round
10 two and the \$650 million in tax credits remaining.

11 First, in addition to certifying
12 projects, the Department of Energy will now rank
13 the projects according to certain criteria with
14 the highest priority given to projects that
15 introduce the practice of capture and
16 sequestration into commercial use. To be given
17 priority, a project must capture and store at
18 least 50 percent of the CO₂ produced and the
19 higher a project's ratio of capture, the higher
20 priority that will be given.

21 Next, the deadline to apply with the
22 Department of Energy for certification has been or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be extended from June 30th to October 31st
2 allowing companies more time to adjust to these
3 new guidelines. The IRS will then award the
4 second round of tax credits on schedule or as
5 scheduled next March.

6 In addition, we have listened to some
7 of the concerns that were raised during the first
8 round and we have sought to address them in this
9 second round. A technical oversight in the first
10 round precluded sub-Bituminous coal from being
11 considered for the tax credits. And so we have
12 added a provision to accommodate IGCC projects
13 using sub-Bituminous coal.

14 Also, the definition of coal, for the
15 sake of these projects, has been expanded to
16 include waste coals. So through the partnerships
17 I have discussed, the new programs and the tax
18 credits, we, at the Department, are promoting the
19 development of advanced coal technology projects
20 that honor greater efficiency, which in turn
21 delivers more energy, while either eliminating or
22 slowing the growth of greenhouse gas emissions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We cannot ignore the great challenges
2 we face when it comes to meeting the challenge of
3 this new energy reality, but we are on the right
4 path. President Bush provided the vision six
5 years ago, a vision that has stayed, that was, in
6 my judgment, remarkably prescient and has provided
7 good guidance to us over these succeeding six
8 years.

9 Since then, we have worked together on
10 developing the plans and technologies to best
11 realize the vision that was laid out. And today
12 through public/ private partnerships, we are
13 finally beginning to see those plans become
14 reality. This success is in no small way thanks
15 to many of you who have invested your time and
16 effort into addressing America's greatest energy
17 challenges.

18 With your continued support, we can
19 keep building on these successes and ensure that
20 coal will be an environmentally safe and plentiful
21 source of energy for the United States and the
22 world for many, many decades to come. We must

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have it. We must be successful. We look forward
2 to working with each of you. Thanks.

3 (Applause)

4 CHAIRPERSON NELSON: Okay. Thank you.

5 DEPUTY SECRETARY SELL: Thank you.
6 I'll mix in a dream.

7 CHAIRPERSON NELSON: Of course you can.
8 We have time for one or two questions. Anyone
9 have a question? Yes, please, stand, Ken.

10 MR. NEMETH: Just a question, Mr.
11 Secretary, referring to your discussions on
12 international security and energy security as you
13 began your talk. Nowhere in your discussion did I
14 hear anything about coal-to- liquids in the
15 future. I think it was a bit implied, but I would
16 just like to hear what the Department's thinking
17 is, at this time, on Advanced Coal-to-Liquids
18 Programs on gasification, Fischer Tropsch, liquid
19 fuels or whatever you would like to call it, but I
20 would like to hear a little bit of give and take
21 on that. Thank you.

22 DEPUTY SECRETARY SELL: Thank you for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the question. The President sent to Congress
2 legislation in support of his advanced or his
3 alternative fuel supply mandate a few months ago.

4 And that legislation specifically contemplates
5 all alternative fuels, including coal-to-liquid
6 fuels. And it is our view that that has great
7 potential in offering increased diversity in our
8 fuel supply in a way that will enhance our
9 international energy concerns.

10 I think coal-to-liquids carries with it
11 the same challenge that other advanced coal
12 technologies carry with it and that is carbon
13 emissions. And going forward, I think, we have to
14 think in terms of coal-to-liquids plants with
15 carbon capturing sequestration, which, quite
16 frankly, makes them more costly. And the threat
17 and the concern and some of you in the room are --
18 you know, perhaps bear the scars of this
19 experience, the problem with coal-to-liquids and
20 its economic viability is the long-term price
21 picture.

22 You know, what kind of bed are you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 prepared to make on the long-term price of crude
2 oil over the next 30 years? And when you add
3 carbon capturing sequestration on to that, it
4 makes it more challenging. And so it is our hope
5 and we support policies that will make coal-to-
6 liquids an important part of our transportation
7 fuel mix going forward. That is what we are
8 seeking, but in seeking that, I don't want to
9 understand the difficulty of the challenge that I
10 perceive in being successful in that regard.

11 CHAIRPERSON NELSON: Another question?

12 DEPUTY SECRETARY SELL: Surely I didn't
13 shut the group down.

14 CHAIRPERSON NELSON: We're giving you a
15 chance to have a little more time. No? Okay.
16 Thank you very much. We appreciate it.

17 DEPUTY SECRETARY SELL: Thank you.

18 (Applause)

19 CHAIRPERSON NELSON: Our next speaker
20 will be Paul Ciccio of Industrial Energy Consumers
21 of America. He is going to speak to us about
22 natural gas users' views on coal-based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 electricity. Let me say just a couple of words in
2 introduction of Paul. You heard him introduced
3 earlier as a new Member and again welcome, Paul.

4 He is the President of the Industrial
5 Energy Consumers of America. IECA is the voice of
6 the industrial energy consumer involved actively
7 in both legislative and regulatory issues that
8 impact such consumers. It's a non-profit
9 organization created to promote the interests of
10 manufacturing companies for which the
11 availability, use and costs of energy, power or
12 feed stock play a significant role in the ability
13 to compete in domestic and world markets, a very
14 important cause indeed. Paul, welcome.

15 (Applause)

16 MR. CICCIO: Good morning. Thank you
17 very much for the opportunity to be here, to speak
18 with you and also to be a Member, a new Member of
19 the Council. I hope you're not shocked by the
20 title of our presentation. U.S. Manufacturing's
21 Future is strongly linked to that of the coal
22 industry. Seriously, in our view, we sink or swim

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 together.

2 To familiarize you with our companies,
3 we are all consumers. We represent the largest
4 and the energy intensive consuming industries in
5 the United States. Within the membership are the
6 largest chemical manufacturers, plastics,
7 fertilizer, steel, cement, fertilizer, food
8 processing, they are large consumers and they have
9 a great amount at stake on affordable energy,
10 reliable energy here in the United States.

11 We are not a glamorous industry. On
12 the left hand side, you will see who we are and we
13 are truly the building block products. And if you
14 look to the right, you take our basic building
15 block products and they are converted to
16 commercial and retail products that are essential
17 to quality of life in the United States.

18 But on the left hand side, those are
19 energy intensive industries and if we cannot
20 afford to produce these products here in this
21 country, these companies owe it to their
22 stockholders to move to places where they can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 competitive and where they can succeed. And that
2 is the challenge that we have here in the United
3 States today.

4 These companies invested in the United
5 States in the '60s and the '70s and in the early
6 '80s for a lot of good reasons: Access to
7 customers, quality of work force stability in
8 Government, and reliability of energy and globally
9 competitive energy. And that resulted in
10 significant capitalization.

11 But things have changed, particularly
12 since late 2000, things have changed dramatically
13 and that is the high price of natural gas and the
14 ongoing increasing price of electricity. The
15 impact of high natural gas and electricity prices
16 is the major reason for the loss of some 3 million
17 high-paying manufacturing jobs in the United
18 States, again since late 2000.

19 And unfortunately, I'm here to tell you
20 that for these energy intensive industries, it's
21 continuing. It's happening, though more quietly
22 than what it had in the early part of the 2000s.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But I assure you that energy intensive
2 manufacturing companies are not investing in this
3 country. They are investing outside this country
4 and that is not good for the United States of
5 America.

6 What has happened is, as you will see
7 as I walk through these slides, we have seen the
8 dismantling of many of these facilities, thousands
9 of these facilities. They have moved off-shore
10 and now they are importing these products into the
11 United States and, obviously, that is contributing
12 to our increased trade deficit.

13 Our opening comment was that we swim or
14 sink, sink or swim together. What does that mean?

15 Energy intensive manufacturing, as I said, is
16 losing the battle on competitiveness because of
17 energy. And the problem is that -- twofold,
18 electric utilities are increasing their
19 consumption of natural gas and, unfortunately,
20 natural gas supply in the United States is very
21 fragile and has been reduced 4 percent since 2000
22 and is going to continue to be fragile for many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years.

2 Larger consumption of electric -- of
3 natural gas by electric utilities have driven up
4 the price of natural gas and now is increasing the
5 price of electricity and that's making things more
6 difficult for us. The solution and where I think
7 we come together here is that greater use of coal
8 from base-load power generation and, and it's a
9 big and, future supplies of methane from coal and
10 use of feed stock for production of chemicals,
11 plastics and fertilizer is a great place for us to
12 work together.

13 This slide just says what probably is
14 obvious to you, but I wanted to be sure that you
15 have heard the whole story from our perspective.
16 Natural gas continues to increase its share of the
17 power generation market. Back in 1994, it was
18 only 14 percent. In 2006, 20 percent.

19 The resulting impact of higher demand
20 by the power sector and flat to declining supply
21 in the United States has had the obvious impact of
22 increasing the price of natural gas. What you see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the far right hand side is a January 2008 NYMEX
2 price, where recently the price went up to \$10.

3 This slide comes from FERC, May 17,
4 2007, summer assessment which goes to the heart of
5 the issue of natural gas connection, natural gas,
6 electric generation and consumption of natural gas
7 and the impact on prices across the United States
8 of electricity. FERC says that prices this summer
9 will go up versus last summer. In the northwest
10 by 23 percent, the midwest 30 percent,
11 Massachusetts Hub up 25 percent, New York City up
12 20 percent, PJM up 19 percent, Southern California
13 up 29 percent and ERCOD up 32 percent.

14 And if you notice, the caveat here,
15 Henry-Hub price \$8.11. Ladies and gentlemen, you
16 know, because you pay attention to energy, that
17 prices of natural gas over the course of the last
18 30 days has hovered just under \$8. So the
19 potential for these prices of electricity to go
20 much higher than that exists.

21 Electric Power Research Institute
22 recently said "Although natural gas is used to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 produce only 20 percent of the generation, it now
2 accounts for 55 percent of the electric industry's
3 total bill, \$50 billion out of \$91 billion."
4 Manufacturing natural gas demand, well since the
5 year 2000, high prices of natural gas has resulted
6 in the shutdown, the dismantling of many energy
7 intensive facilities across the country.

8 We, today, use 1.5 trillion cubic feet
9 less of natural gas than we did not that long ago.

10 18.5 percent reduction. Unfortunately, with the
11 loss, the cut back of that natural gas, because of
12 high prices, came jobs, high quality jobs. It's
13 still hard for me to believe this, but in a
14 relatively short period of time that you see on
15 this slide, we have lost 3 million manufacturing
16 jobs.

17 Now, 3 million is 17 percent of total
18 manufacturing jobs. And what also should be
19 shocking to all of us and to our leaders in
20 Congress is that if you notice, we have had for
21 the last four years very robust economic growth.
22 This is the first time in history that we have had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 robust economic growth in the United States and we
2 have not seen a resurgence in the growth of
3 manufacturing jobs.

4 So we sink or swim together and why is
5 that? The second point, under a carbon
6 constrained U.S., the manufacturing and the coal
7 industries will be as a distinct competitive
8 disadvantage with our respective competitors. Our
9 competitors are manufacturers outside the country.

10 Now, if energy prices were the same across the
11 globe, this would not be an issue for us, but high
12 natural gas prices, in particular, we have had on
13 average, as a matter of fact, since 2000 the
14 highest natural gas price in the world. That's on
15 average.

16 Go to Europe right now, the prices are
17 around \$5. If you go to China, about \$5.50
18 equivalent and that's what we're competing with.
19 So the solution, another reason again why we're
20 here, why we're happy to be Members of this
21 National Coal Council and why we want to work with
22 you closely is that we believe that we have got to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 succeed just like the Honorable Clay Sell just
2 said, we need technology solutions to reduce the
3 void, capture, sequester carbon economically.
4 It's got to be economically. We need, quite
5 frankly, low cost energy to stay here.

6 And wrapping up, one of our major
7 concerns regarding this future fast arriving
8 carbon constrained world is the concern that we
9 have over electric utility fuel switching from
10 coal to natural gas. There was a hearing that
11 Senator Bingaman recently had on March 26th that
12 spells it out in black and white. One of the
13 Europeans that he had on the panel was asked a
14 question by Senator Corker about price signals to
15 getting to lower carbon.

16 And the answer was the majority, I
17 guess I should say quote "The bulk of the
18 greenhouse gas, the CO₂ emissions that occurred in
19 Europe as a result of the EUETS was from electric
20 utility fuel switching from coal to natural gas."

21 If that happens in the United States under future
22 constrained legislation, it spells real bad news

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the manufacturing sector. We can't compete
2 with that. Utilities can buy gas. They can pay
3 high prices and we cannot and we will leave.

4 So with that, ladies and gentlemen, we,
5 as the Industrial Energy Consumers of America, and
6 unfortunately with that sober story that I shared
7 with you, we do look forward to being here and
8 working with you and being successful together.
9 Thank you.

10 (Applause)

11 CHAIRPERSON NELSON: Do we have a
12 question? Fred? I don't see a microphone.

13 MR. PALMER: Fred Palmer. I think,
14 first of all, it's terrific that you are a part of
15 --

16 CHAIRPERSON NELSON: Excuse me, Fred.
17 Let me get you over here.

18 MR. PALMER: I think it's terrific,
19 Paul, that you now are part of the National Coal
20 Council and as Chair of the Co-Policy Committee,
21 we will be scheduling a committee session here
22 pretty quick to explore areas of inquiry that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 might go into. In looking at this presentation
2 today, it occurs to me that this linkage between
3 high priced electricity, use of natural gas for
4 electricity and coal and its impact on
5 manufacturing should be explored in depth to let
6 people understand what exactly is going on.

7 This week, the State of Florida turned
8 down a 1,500 megawatt coal-based power plant in
9 central Florida. Florida is 100 percent on the
10 gas curve, which means more natural gas for
11 Florida. Natural gas in the U.S. is in decline,
12 that means it's imported natural gas. The
13 imported natural gas comes from Qatar and Russia.

14 So in the context of the work that you
15 are doing at the IECA, what is your thinking with
16 respect to the LNG situation or the long-term
17 sustainability of that model?

18 MR. CICCIO: Well, we are very -- have
19 been consistently and still remain very, very wary
20 of LNG as, let's say, a major savior or solution
21 to this issue. My companies, most of them are
22 multi-national. And we -- they see what is around

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the world and they see that there are existing LNG
2 import facilities all over the world, in Europe
3 and in Asia, and they are expanding these import
4 facilities without any delay.

5 And we are deeply concerned about the
6 discussions that LNG producing countries are
7 having in setting a future cartel. There is great
8 opportunity for, in our view, dislocation of
9 supply and higher prices when you consider the
10 increasing production or the slower production of
11 LNG, the availability of cargos and the import
12 facilities in the United States. There is a whole
13 lot of areas, three major areas where things can
14 go wrong, that to us spells unreliable.

15 And something to think about, if we do
16 have an LNG cartel, so that means all prices of
17 LNG are the same, just like you have in crude oil,
18 OPEC today. We, as the United States, would be
19 disadvantaged, because of distance. The distance
20 from North Africa or West Africa to our East Coast
21 or Gulf Coast is much, much further than North
22 Africa/West Africa to Europe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And if you look at the distance between
2 places like Australia, it's producing LNG, our
3 West Coast is significantly further than supplying
4 that LNG to places in China. So freight would --
5 we would have a net increase in the cost routed to
6 our competitors. Thanks, Fred.

7 MR. BROWNELL: Thank you for the
8 presentation. It was quite interesting. The 3
9 million job loss figure is really quite
10 astounding. I have a question and a comment.
11 First, the question is that could you point us to
12 where the analysis of study on which that figure
13 is based? I think it would be useful for us to
14 look at and go into a little greater detail.

15 MR. CICCIO: Sure.

16 MR. BROWNELL: I'm Bill Brownell from
17 Hunton & Williams. The comment is that as you
18 were talking about the relocation of manufacturing
19 jobs overseas, there has been interesting work
20 done that suggests that the carbon intensity of
21 the unit of production in China and India is about
22 twice that in the United States, so we're not only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 talking about creating a challenge from domestic
2 jobs, but we're also talking about creating
3 environmental challenges by creating a dynamic
4 that moved jobs overseas.

5 And I just wondered if you all had
6 looked at that, thought about that aspect of the
7 issue at all?

8 MR. CICCIO: Well, we think about it
9 all the time. As Clay Sell had mentioned, the
10 manufacturing in this country has an incredible
11 track record of reducing the energy per widget of
12 output going back to the '70s. I mean, it's an
13 absolutely amazing success story and the reason is
14 obvious, energy is a cost and we are competing in
15 a globally competitive industry. And if we're
16 going to compete and win, we have got to reduce
17 our cost. And we have been pushing down the cost
18 of energy for a long, long time.

19 Getting to the heart of places like
20 China and India where there is great efficiencies,
21 you are absolutely correct that they are using
22 much more energy to produce the same widget,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whether it is a barrel of beer, a ton of steel, a
2 ton of aluminum or a pound of plastic or whatever.

3 And, in fact, when it gets to this heart of
4 greenhouse gas emissions, carbon constraining the
5 world, we have done a disservice by moving, by not
6 having competitive energy and moving these very
7 efficient industries outside the United States to
8 places like China to where they are producing the
9 same products, but using more energy and emitting
10 more CO₂.

11 But, yes, we have looked at it and it
12 is quite frightening, because places like China
13 will build a new, an equivalent industry to the
14 U.S. steel industry every six years.

15 CHAIRPERSON NELSON: Okay.

16 MR. HARRISON: I don't mean to hold us
17 up. I mean, based on the U.S. productivity and
18 labor costs and raw material costs, how cheap
19 would energy have to be to bring those 3 million
20 jobs back?

21 CHAIRPERSON NELSON: Could you state
22 your name?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HARRISON: I'm sorry, Clark
2 Harrison from CQ, Inc.

3 MR. CICCIO: I don't have an answer to
4 what does the cost of energy have to be. That's a
5 good question and I would have to think about that
6 and if I could, I will get back to you. Please,
7 give me your card.

8 One concerning comment though, I've got
9 to be honest with you, is that when they shut
10 these plants down, they take them down. They take
11 the best part -- the only parts that are still
12 usable and they ship them overseas and/or what's
13 left deteriorates very quickly. So these plants
14 are done. They are gone. And for them to come
15 back, for these companies, essentially, they've
16 got to build new capacity here in the United
17 States, not restarts. And I just don't know the
18 answer to that question. I wish I knew. Thank
19 you. Thank you.

20 (Applause)

21 CHAIRPERSON NELSON: We're going to
22 take a few moments and do some official Council

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 business. And in that vein, I would like to
2 introduce David Surber, who is Chair of the
3 Communications Committee to give a report. David?

4 MR. SURBER: Good morning, Georgia,
5 thank you. I plan to speak for approximately four
6 minutes. I wish to thank the Members of the
7 Communications Committee and Members of the
8 Council and other distinguished persons who took
9 the time to attend the scheduled meeting of our
10 group yesterday afternoon.

11 Our meetings are always held from 3:00
12 p.m. to 4:00 p.m. on the day before the meeting
13 and all are most welcome to attend. I extend an
14 invitation to anyone who may wish to attend to do
15 so.

16 At the beginning of our meeting, I
17 presented a report in the form of a briefing for
18 new Members of the Committee and the Council and
19 guests. I should like to read a brief portion of
20 that report.

21 "Since we all agree we have an
22 obligation to be transparent, I wish to point out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that since this Committee was established in 1998,
2 we work from and follow a written plan.

3 Since then, we have made aggressive and
4 effective use of various forms of media. We have
5 an excellent and expanding website administered by
6 Bob Beck and his able assistant, Pam Martin, and
7 we have an 8 minute informational CD video, which
8 has been sent to all Members of Congress, to
9 officials at DOE and other agencies, to various
10 Governors and State and local officials and to
11 print and broadcast journalists. The disk is also
12 used to orient new and perspective Members of the
13 National Coal Council.

14 Since the Committee was formed, we have
15 been featured in major newspapers including the
16 Wall Street Journal, the Washington Post and the
17 New York Times on The Wires, on CNN, NBC, PBS and
18 other networks and even had meetings covered live
19 by C-SPAN.

20 We have worked carefully to establish
21 and maintain a relationship with journalists and
22 look forward to employing even more methods and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 venues for our reports, including, for example,
2 the National Press Club and the editorial boards
3 of major newspapers.

4 All this to comply with the law and in
5 the bargain to raise the profile and, quite
6 frankly, the influence of the National Coal
7 Council. Not as an exercise in self-
8 aggrandizement, but as an exercise in good
9 citizenship and public education."

10 Other matters which came before the
11 Committee yesterday:

12 I explained that the press release
13 which details and highlights this meeting was
14 transmitted in advance electronically. We also
15 discussed updating the CD video by virtue of the
16 developments that we were discussing here shortly
17 in the report, carbon sequestration, global
18 warming, those sorts of things.

19 The Committee also heard a thoughtful
20 report by new Council Member Fred Reuter, who is
21 here today for the first time, who suggested
22 creation of a Coal Council- funded cash prize for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 secondary school students who devise means and
2 methods to capture carbon dioxide, reduce
3 greenhouse gases and employ clean coal
4 technologies and alternative energy sources.

5 The work of the Communications
6 Committee is factual education in accordance with
7 the constraints of the Federal Advisory Committee
8 Act. I would, as I have often done, remind the
9 Council that education does not take place
10 overnight, but over time. Thank you. Thanks very
11 much.

12 (Applause)

13 CHAIRPERSON NELSON: Rich Eimer, Chair
14 of the Finance Committee. Rich?

15 MR. EIMER: Thank you, Georgia. My
16 name is Rich Eimer. I Chair the Finance Committee
17 and I would like to make the following report from
18 our discussions in the joint meeting between the
19 Finance Committee and the Executive Committee
20 yesterday.

21 The Finance Committee and the Executive
22 Committee reviewed and approved the annual audit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the Council performed by Chaconas and Wilson
2 for the fiscal year 2006. In relationship to
3 that, the Finance Committee and the Executive
4 Committee also recommend that the Council retain
5 Chaconas and Wilson to conduct the 2007 audit
6 accordingly.

7 Therefore, I so move and I look for a
8 second. Seconded. All those in favor?

9 ALL: Aye.

10 MR. EIMER: Opposed? Thank you.
11 Georgia, if I might have just a couple more
12 minutes. The last meeting that we had in this
13 room, I reported on the financial health of the
14 National Coal Council. The trend in that
15 financial audit that I just reported on are
16 disturbing and I reported that the last time we
17 met.

18 The Executive Committee has been really
19 hard at work along with the newly formed
20 subcommittee of the Executive Committee, the
21 membership have been looking for ways to improve
22 that financial health. I would like to make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 couple of points in that regard.

2 The annual budget of the National Coal
3 Council is about \$600,000. That budget hasn't
4 substantially changed in about 20 years. If you
5 just look at inflationary pressures, you can
6 understand the challenges that are associated with
7 a flat budget over that period of time. If you
8 look at the work that the Council has done, then
9 you can also get another idea about the challenges
10 that we face in that regard.

11 Funding for the National Coal Council
12 expenses only covers -- I mean, can only come from
13 one place and that's the Membership of the
14 Council. That's how the Council's budget is
15 funded. And although your dues payments as all of
16 us as Members of the National Council are
17 voluntary, there is an expectation as a Member of
18 this Council that you will pay those dues.

19 We only effectively have two ways to
20 raise funds for the Council and for the Council to
21 do its business and that's either to increase
22 membership or to increase the contributions that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 come from the existing membership.

2 Today, I would just ask, at this point
3 in time, for your patience, your understanding and
4 your support as we, in the Executive Council and
5 the Finance Committee, pursue both ways. More to
6 come on that. Thank you.

7 (Applause)

8 CHAIRPERSON NELSON: Thank you, Rich.
9 Larry Grimes, Counsel to the National Coal
10 Council.

11 MR. GRIMES: Good morning. Counsel to
12 the Council, that's an interesting set of words.

13 CHAIRPERSON NELSON: Is that good?

14 MR. GRIMES: Thank you. Madam Chairman
15 and Mr. Vice Chairman, thank you for your
16 attention and thank you for assembling such a
17 wonderful group of people here, although each of
18 you is sponsored by and appointed by the Secretary
19 of Energy, it takes a lot of scrutiny on behalf of
20 a lot of people to assemble this kind of talent.

21 And I want to commend our leadership
22 and to tell you that in my time with the Coal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Council since day one, I have never seen a better
2 group of people or better work come out of the
3 Council than I have in the last year or two.
4 Thank you.

5 Welcome to the capital of allergies,
6 Washington, D.C., where I live. Every year or two
7 when we have enough new Members assembled, I'm
8 given the opportunity to do a sort of tutorial, an
9 orientation to tell you a little bit about how we
10 are organized, what we do and make some
11 suggestions for you to be able to participate more
12 fully.

13 Now, when I talk to coal people, and I
14 have had that opportunity now for many years, I
15 sometimes feel a little bit like a lion in a den
16 of Daniels, because all of you know more about
17 coal than I do. However, I do have a pedigree in
18 the coal business, because a great grandfather of
19 mine and his father were both, unfortunately,
20 killed in coal mine accidents in Elmo, Wyoming.
21 So I do come from a line of coal people and I'm
22 proud to say that this industry, which you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 represent, is the most critical, I think, in the
2 history of this country in terms of its energy
3 independence and a way forward out of the mess we
4 find the world in today.

5 Okay. Now, we're a Coal Council, how
6 do we operate? First of all, let's talk about
7 organization. Each of you wears two hats. Each
8 of you is a Member of the National Coal Council,
9 which is an appointive Federal Advisory Committee,
10 and you are appointed by the Secretary of Energy,
11 that you know. You may not know that you are
12 also each of you a Member of a non-profit Virginia
13 corporation known as the National Coal Council,
14 Inc.

15 And the reason we have that corporation
16 is so that it can serve as an umbrella
17 organization over this Federal Advisory Committee
18 in order to do the housekeeping. We provide
19 office space. We provide professional assistance.

20 We provide organizational abilities to help the
21 layman and the volunteer membership and leadership
22 of this Council do its work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We're not a large organization, as was
2 pointed out. We have about the same budget that
3 we had 23 years ago when we started, that's
4 astounding. We are, in fact, doing more with
5 less, because I have never seen better work in the
6 23 years I have been associated than we have had
7 in the last couple of years and it must and will
8 continue.

9 Now, how can it do that? It can only
10 do that by following our rules, following our
11 procedures and each of you contributing in the
12 ways that only you can do, with your time, with
13 your talent and with your money.

14 Now, we have a process here which has
15 been carefully scrutinized and worked out with the
16 General Counsel's Office of the DOE way back when,
17 which allows us to do our work, I think, in an
18 efficient manner. You have heard of a study that
19 we're about to adopt and you probably, some of
20 you, have worked on it, but you may not have a
21 sense of how we actually do that work.

22 The work is done in the following way:

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Volunteers are solicited at the outset of a
2 study. Anybody can participate, Members and non-
3 members and frequently non-members do participate
4 with us. Leadership from the Council has chosen
5 to chair a work study group. Now, this is an
6 informal organization that works very much like a
7 committee and what comes out of it looks a lot
8 like a camel, which is put together by a
9 committee, as you know that old story.

10 But as the process continues, the goal
11 is to assemble data, assemble drafts to get in
12 front of the public body, that is the National
13 Coal Council and its Coal Policy Committee through
14 the public process. So we have worked out, if you
15 will, what occurs below a line, which is the
16 dividing line between the informal activities and
17 the formal activities.

18 So the work is done. The collection
19 occurs below the line. And then once the material
20 is ready for scrutiny and deliberation by the Coal
21 Council, as a Council and it's Coal Policy
22 Committee as a primary subcommittee, then we go on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the record and the public gets involved in any way
2 it wishes to. And their views are taken into
3 account.

4 And, in fact, if any Member or any
5 member of the public has a dissenting view on what
6 we publish as our study, we have a procedure
7 whereby those dissenting views can be published
8 and are and have been.

9 This process has been challenged. The
10 last study it was challenged by the, we think,
11 Natural Resources Defense Council, who we believe
12 prompted a letter from Senator Joe Lieberman over
13 to the Secretary of Energy which challenged us in
14 two ways. It challenged our process and it
15 challenged our structure.

16 I'm happy to report, Madam Chairman,
17 that the Inspector General of the Department of
18 Energy conducted a thorough study and gave us a
19 clean bill of health. We are following the rules.

20 We're following the process. And our structure
21 is in accordance with the law and they couldn't
22 ask for more.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, I have mentioned that the Council
2 itself has this housekeeping organization and
3 sometimes you will refer to motions regarding
4 auditors and budgets and that sort of thing.
5 That's all business of the National Coal Council,
6 Inc.

7 The National Coal Council itself is a
8 deliberating body relating to policy. So when you
9 are wearing your policy hat, you are not
10 functioning as an Inc. member. But when you are
11 talking about money and mundane things such as
12 voluntary dues structures, you've got your other
13 hat on and you have to keep these separated.

14 They are both run by the same
15 organization, a group we call the Executive
16 Committee, which is, in fact, the board of
17 directors of the National Coal Council, Inc. Any
18 of you who wish to work in any part of the
19 National Coal Council should make that wish known
20 to our Chairwoman, to Georgia, or to Bob or to
21 Mike Mueller or to myself and believe me, there is
22 always room for volunteers in our organization.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 After a few years, many of you will
2 work your way through a variety of tasks and spots
3 and from those people who have been the most
4 active and the most supportive of what we do, a
5 board of directors or we call it an Executive
6 Committee will be chosen.

7 Now, if you have any further questions
8 about our organization, I'm available at any time.

9 I will be happy to talk to you about it. I would
10 like now in the limited time to switch over to one
11 substantive area that does concern us.

12 As a citizen of the United States
13 working not as a Government employee, but as a
14 volunteer citizen on a Federal Advisory Committee,
15 you have certain responsibilities. We have chosen
16 to be a self-paying organization and therefore not
17 taking Government money and none of us are paid
18 for this. You are not paid for this. You pay, in
19 fact, to participate.

20 But you are not exempted from the other
21 laws of the United States. And we have had an
22 unfortunate situation occur over in connection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with some National Petroleum Council activities.
2 The National Petroleum Council is a sister
3 organization that has existed since just after
4 World War II. We were patterned after that
5 organization when in 1984 under President Reagan,
6 Secretary Don Hodell said okay, the voice of coal
7 needs to be formalized into a council and that
8 occurred.

9 But when we meet and deliberate, a lot
10 of you are competitors and, therefore, you have to
11 follow the Anti-Trust Laws of the United States.
12 There is no exemption from the Anti-Trust Laws or
13 the enforcement of the Anti-Trust Laws by virtue
14 of your Council membership. You may not realize
15 this, but one of the reasons that my job exists is
16 because someone with sensitivity to anti-trust
17 concerns, for example, attends all of the meetings
18 of our work, because, as you may have been taught
19 by your in-house counsel or maybe your outside
20 counsel, if people start to do things that would
21 get them into trouble under the Anti-Trust Laws,
22 somebody has to knock over the pitcher of water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and say we don't talk about that.

2 Now, that's what -- the kind of stories
3 they tell us in law school when they are teaching
4 us to get ready for this kind of a job. But the
5 fact is that in our 23 years here, I don't think
6 we have ever done anything that approaches a
7 violation of the Anti-Trust Laws. But there are
8 lots of opportunities to do things that could get
9 you into trouble and certainly be challenged.

10 Now, there has been litigation launched
11 involving a couple of members of the National
12 Petroleum Council in connection with their work on
13 the NPC, the National Petroleum Council. I don't
14 know whether those lawsuits are going to succeed
15 and I doubt that they will, but none of you want
16 to have to defend yourself.

17 So a reminder and we have written
18 materials which we will be happy to distribute.
19 You can't talk about proprietary data to each
20 other. You can't sit and discuss prices and labor
21 rates and all the kinds of things that you already
22 know about, because by virtue of this position,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you'll receive no exemption.

2 All right. That's probably enough on
3 that. I just wanted to highlight it. If you have
4 any questions about it, I'm here, please, contact
5 me at any time.

6 Georgia, unless there are no further
7 questions, that's my report to give.

8 (Applause)

9 CHAIRPERSON NELSON: It is now my
10 pleasure to introduce our next speaker, who is a
11 colleague and friend, Professor John Deutch of
12 MIT. You may recall that there was a new study
13 released from MIT, "The Future of Coal." John is
14 particularly distinguished. He has been a
15 Professor at MIT since 1970. He was the Director
16 of Central Intelligence Agency for a while. He
17 was the Deputy Secretary of Defense, pertinent to
18 us. He also served in the U.S. Department of
19 Energy.

20 He has a biography and resume that
21 would take up the entire rest of the meeting. He
22 is an esteemed colleague and good friend, Dr. John

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Deutch. John?

2 (Applause)

3 PROFESSOR DEUTCH: Thank you, Madam
4 Chairman. This is a rather foreboding kind of
5 setup here. I don't know whether I'm in front of
6 the International Court of Justice, but --

7 PARTICIPANT: Worse.

8 PROFESSOR DEUTCH: Worse, but I'm very
9 happy to be here. In fact, I'm very enthusiastic
10 about being here because I've given a description
11 of our MIT study to lots and lots of different
12 groups, but I have not had an occasion to go into
13 the heart of a group which has so much more
14 practical and detailed knowledge about the coal
15 industry as this one here today.

16 So I'm especially interested in having
17 an opportunity to talk about what our study was
18 about, what aspects of it you all want
19 clarification, what aspects of it you all think
20 are misguided, but most importantly where this
21 country should go in order to meet the energy
22 needs of the future.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Thinking about this, I have a
2 dramatically long presentation like all academic
3 presentations. It's exactly 55 minutes. If I go
4 through it, I think it will take time away from
5 discussion, interruptions, whatever you want to
6 have, so instead what I have decided I will do is
7 just talk my way through it in case anybody really
8 gets me pinned to a wall, I might then pull out a
9 slide to support one aspect of it or another, but
10 I thought it would go more smoothly from the point
11 of view of an interchange if I just spoke to the
12 study.

13 And I'm delighted that in case I really
14 get into trouble, I can't deal with the questions
15 or my slides don't help me, Janos Beer is here, my
16 distinguished colleague, who is a member of our
17 study group, who will help me out of the more
18 difficult situations. But let me give you the
19 context and a summary of where the study is to
20 provide an opportunity for discussion.

21 I understand we have 30 to 45 minutes.
22 Is that right, Madam Chair? If I speak too long,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cut me off.

2 So what has happened is that a group of
3 MIT faculty became concerned about the energy
4 future of the country and I might say of the
5 world. And the principal item which made them
6 concerned was the issue of global warming, where
7 the consensus opinion, certainly the very strong
8 opinion among knowledgeable people at MIT and in
9 our study group, is that climate changes for real
10 and somehow the world is going to have to deal
11 with it, that's one aspect.

12 And the second aspect is a need to
13 begin a transition, certainly a several decade
14 long transition, many, many decades perhaps to
15 make a transition for our economy from petroleum-
16 based fuels to alternative energy sources. As we
17 looked at this, as a faculty group, we decided
18 that there were, you know, tremendous
19 institutional, economic and technical hurdles and
20 we decided to take on a series of studies to
21 examine the future prospects of each of a number
22 of different areas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 In 2003, we published a report in the
2 future of nuclear power and this March we
3 published a second report on the future of coal,
4 which is what I'm going to speak with you today.
5 The studies are supported by the Alfred P. Sloan
6 Foundation primarily and I regret to inform you
7 that one of our strongest members of our study
8 group has now just been appointed president of the
9 Alfred P. Sloan Foundation yesterday, so I'm not
10 sure whether this means we'll get more money or
11 less money, but it is foundation money. It's not
12 Government money and there is essentially no
13 industry money involved in it.

14 And as I say, we're going to later on
15 go to renewables, energy efficiency, a whole
16 series of possible additional subjects in the
17 energy area. Well, we start with coal with the
18 following assumption. Coal costs about \$1.50 per
19 million BTUs, depends on where you are, and it is
20 plentifully available in the United States, in
21 China, in India and Russia and Australia, in
22 places where are not in the Middle East, not in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the Persian Gulf.

2 So this makes it an extraordinarily
3 attractive fuel and a fuel which is going to be
4 used, should be and will be used by the United
5 States, by our allies and by many other people in
6 the world. So it is essential to the energy
7 future.

8 On the other hand, coal is the biggest
9 emitter, well, not the biggest emitter, but it's a
10 very significant emitter of greenhouse gas fuels,
11 I guess, about 30 to 35 percent of it is
12 attributable to coal or greenhouse gas emissions.

13 So the question is what can we do about this to
14 manage the immediate energy demands and worry
15 about the role that coal will play.

16 We began our study with the use of a
17 very interesting and elaborate MIT model on world
18 energy economy, which has in it enough texture to
19 differentiate industries as well as fuels, of
20 course, and regions quite importantly. What we
21 did is we said what would be the consequence? How
22 would the world adjust to a significant charge on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 greenhouse gas emissions universally applied
2 throughout the world? What would be the
3 consequences for the change in mixed fuels and the
4 objective would be to try and stabilize greenhouse
5 gas emission, CO₂ emissions by mid-century.

6 So the first thing we did is we took a
7 worldwide view and said if you had an emission
8 charge it could be acquired in tax, it could be a
9 fancier cap and trade system, that's really not
10 part. Second order doesn't really make that much
11 difference. What we found is indeed a carbon
12 charge which we looked at various different cases
13 about how it might be imposed, would it be, could
14 it be stabilized greenhouse gas emissions, CO₂
15 emissions by mid-century and the way the mechanism
16 that takes place, and this is very important,
17 there are three mechanisms which cause the
18 stabilization of this, emissions of greenhouse
19 gases.

20 The first is, of course, a reduction in
21 energy demand, because the real price of energy
22 goes up because of the carbon charge. The second

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is a shift of fuels away from carbon, which fuels,
2 such as coal to lower carbon fuels should they be
3 available at the extreme case, for example,
4 nuclear power. And the final case is the
5 introduction of new technologies, in particular,
6 carbon capture and sequestration, which allows
7 coal to reintroduce itself in the -- into the
8 world economy.

9 And I want to be clear that the biggest
10 quantitative effect in reducing the emissions from
11 businesses usual trajectory is, indeed, a
12 reduction in all energy use for the price
13 increase. And the second effect is at mid-century
14 a shift to lower carbon fuels. And the third is
15 the introduction of deployment worldwide of carbon
16 capture and sequestration.

17 That's just a picture at mid-century.
18 What I want to stress to you is at that moment,
19 carbon capture and sequestration is being deployed
20 evermore significantly, so there is a sharp
21 increase in fact after -- during this period of
22 time as carbon capture and sequestration gets

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 introduced into the world economy. So coal use
2 goes up extraordinarily fast in the latter part of
3 the 21st Century.

4 If on the other hand there is a carbon
5 charge and carbon capture and sequestration is not
6 available, that's the main point I want to make to
7 you today, should Ms. Merkle or someone convince
8 the world to put on a big carbon charge, what
9 happens to coal use is at mid-century that is well
10 below what it is today and it's headed towards
11 zero.

12 So from the broadest view of the coal
13 industry worldwide, surely the United States faces
14 the following three options. If there is no
15 carbon charge, which become progressively, I
16 think, less likely, what we will have is a growth
17 of coal by mid-century which may go up by a factor
18 of our compared to today, 400 percent and over for
19 a 30 or 40 year period. 43 year period, I guess.

20 If there is a carbon charge and carbon
21 capture and sequestration is an available
22 technology, coal use at mid-century is 30 or 40

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 percent larger than it is today, but increasingly
2 rapidly at that point, because of the deployment
3 of carbon capture and sequestration.

4 And of course, the worst case is if our
5 policy makers here in area code 202 believe carbon
6 capture and sequestration is a technical option
7 that's available, but it isn't, then coal will get
8 pushed out because of the progressively higher
9 carbon charge and you will find that coal use
10 worldwide continues to decline in this model, and
11 I stress that it is a model. But it is important
12 that it gives you very important linkages around
13 the world, which I will come back to.

14 Okay. So the question then becomes how
15 can you try and introduce today as quickly as
16 possible carbon capture and sequestration as a
17 technology option? Something which every person
18 who I think cares about the future use of coal
19 should say no matter what I think about a carbon
20 charge, no matter what I think about global
21 warming, I don't want to be caught in a situation
22 where there is a policy measure and I don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this technology option. So what are the options
2 with respect to carbon capture and sequestration?

3 And here again, I'm going to be very
4 brief and I'm happy to go into this at any length
5 that people want here. The first is that absent
6 carbon capture and sequestration, we are big
7 advocates, as you could imagine with Janos Beer
8 being on our group, of pulverized coal, especially
9 ultra critical, ultra-supercritical pulverized
10 coal everywhere in the world.

11 The margin one pays for that is very
12 small. The capital margin efficiency improvements
13 are tremendous. As you all know, China is putting
14 in about 90 large coal plants a year. India is
15 putting in about 45. They ought to be ultra-
16 supercritical pulverized coal plants and people
17 don't appreciate how refined, how what a
18 technically splendid instrument a modern coal
19 plant can be and will continue to improve with
20 very high efficiency.

21 The second case we looked at in some
22 detail is integrated coal gasification combined

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cycle. And here, we found that the cost of
2 electricity differs on what we consider not an
3 analysis which holds for every locality and every
4 particular project, but on the basis of comparable
5 set of assumptions that integrated coal
6 gasification combined cycle is going to be more
7 expensive for producing electricity in the absence
8 of carbon capture and sequestration.

9 That is a highly unpopular conclusion,
10 but one which we believe is the case. And of
11 course, this depends upon where you are and
12 especially on the quality of the coal.

13 Now, what if you look at carbon capture
14 with those plants? We looked at two options in
15 particular, oxygen fired pulverized coal plants
16 and integrated coal gasification with carbon
17 capture and sequestration. I want to make two
18 points about this, two or three points. The first
19 is on the basis of our engineering analysis, then
20 when you design a plant, greenfield plant from
21 scratch with carbon capture, the IGCC plant is
22 going to be, it looks like, cheaper than on oxygen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fired pulverized coal plant with capture.

2 On the other hand, technology is moving
3 sufficiently rapidly in both these areas and
4 indeed other areas which I'm not going to address
5 this morning, that we think it would be goofy in
6 the extreme as many people seem to want to do now
7 to pick a particular technology today.

8 I keep on saying if some smart young
9 technical person figures out a way to separate
10 oxygen from air, you'll reverse this in a
11 heartbeat and pulverized coal will become oxygen
12 driven and pulverized coal will become more
13 attractive. So we are not for picking technology
14 winners and we notice that much of the legislation
15 and certainly the 2005 Energy Act did, indeed,
16 suggest in the darling of the environmental
17 community, if I may say, that IGCC is a preferred
18 technology route to go today. We don't believe
19 that.

20 The second point I want to make is we
21 had a lot of analysis of the issue of building an
22 IGCC plant today in a way that is either capture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ready or easily retrofitable for carbon capture at
2 a future date when there are regulations. In our
3 view, our very strongly held technical view is
4 that's going to be quite a reach. But there is a
5 widespread misunderstanding, not here in this
6 room, about what it takes to retrofit a plant
7 which was designed for operating efficiently
8 without carbon capture to a plant which is going
9 to work with carbon capture.

10 In our view, a plant which is designed
11 with carbon capture is a very different plant from
12 a coal pile to the turbines to the pressures to
13 everything, and so the idea of retrofit and the
14 idea of preinvestment in a plant to make it
15 retrofitable at a subsequent date is unlikely to
16 be a very attractive alternative.

17 The most important conclusion that we
18 came to though is the following: We looked in
19 detail at the carbon sequestration projects that
20 are underway around the world, which are operating
21 at a scale that could possibly be used as a good
22 indicator for industry about how carbon CO₂

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sequestration would work.

2 CO₂ sequestration sounds worse than it
3 is. But in order to know whether it is going to
4 work, we have to have some projects that
5 demonstrate it in operation at a reasonable scale.

6 The current projects that are around the world,
7 I'll only mention four of them, the Weyburn Field
8 in Canada, the Sleipner Field in Norway , In Salah
9 in Algeria, not yet in operation, I think, and the
10 Gordon plans in Australia.

11 All of these are projects which are at
12 scale by which we mean 1 million tons a year;
13 however, none of them have been designed to be CO₂
14 sequestrations per se. They are usually knock-
15 offs of enhanced oil recovery. None of them have
16 the instrumentation that we believe as citizens or
17 as technical people and certainly as regulators
18 would want to see in place for a sequestration
19 project there.

20 For example, Sleipner has one indicator
21 which is 4D Seismic. None of them have pressure,
22 in place pressure sensors, temperature sensors,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 chemical ph sensors and things like that which
2 will tell you about the fate of the CO₂ in the
3 ground. And most importantly, none of them have
4 happened with an accompanying regulatory procedure
5 which would assure that one knows how sites should
6 be inspected, how sites will be operated and most
7 importantly after a period of time where the
8 responsibility for the liability of the site will
9 shift from the utility or the company which
10 injects the private firm which injects the CO₂ to
11 a Government responsibility will ultimately over
12 periods of many decades, it will really have to go
13 in that direction.

14 Now, I'm a lot older than most of you
15 here and have made many, many more mistakes than
16 all of you here, but I spent a great deal of time
17 in the nuclear waste management business when I
18 was at the Department of Energy and the one thing
19 I don't want to see is carbon sequestration go
20 that fate, because we do small projects, one off
21 projects, which do not carry with it a robust
22 regulatory framework that will assure that if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 -- when the technology is demonstrated, we have a
2 way of deploying it, making investments that will
3 work for the industry.

4 Absent serious large scale carbon
5 sequestration projects, the basis of our report,
6 which is carbon capture and sequestration, is the
7 way the coal industry should go for capturing CO₂
8 is simply a hope and not a policy. Now, I might
9 say that today in the Congress there are many,
10 many bills pushing carbon sequestration projects,
11 all of them, in our judgment, or at least in my
12 judgment, let me now reserve this to myself, are
13 of a scale that are too small and do not have the
14 structure to be convincing as a serious
15 sequestration project demonstration.

16 So our first set of recommendations has
17 to do with getting these carbon sequestration
18 projects going three to five in the United States,
19 maybe 10 around the world, different geologies,
20 different coal types or initially the CO₂ could be
21 purchased, it could come from a coal-to-liquids
22 plant, which has certain advantages, but those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have to become first.

2 The second one is any Government
3 assistance here in this coal area should only be
4 provided to projects whether they are IGCC,
5 whether they are retrofit projects, whether they
6 are pulverized coal projects, whether they are
7 other kinds of technologies, like fluidized bed,
8 to those projects which will also do carbon
9 capture, because we think that is a different
10 ballgame. So we are also quite unpopular by
11 saying that the provisions of the 2005 Energy Act,
12 which extend to clean coal irrespective of whether
13 it has got CO₂ capture are not the critical
14 priority place to put public dollars. They should
15 be for projects which include right from the
16 beginning carbon capture and sequestration.

17 And we also are very much aware that
18 technology is moving here and we are not in a
19 position to fix technology. And indeed, there are
20 many things that the DOE could do in terms of a
21 common modeling and simulation base so as to
22 improve the ability of the industry, both the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 users of coal and the producers of coal to be
2 better able to explore what the technology options
3 are and guide both their R&D programs and their
4 initial project investments.

5 And we certainly believe that Federal
6 Government assistance is required, especially at a
7 time when we have no concrete carbon emission
8 charge policy, that it is very much ripe for there
9 to be federal assistance to coal projects with
10 carbon capture.

11 My last point, then I'm done, has to do
12 with all of this depends upon the fact that it is
13 a worthwhile public purpose for the world and the
14 United States to stabilize the emission of CO₂.
15 And our models are based that everybody does adopt
16 carbon -- some kind of carbon emission controls at
17 the same time, but, of course, we know that's not
18 the case.

19 I happen to be among my friends one of
20 the people who thought the President actually made
21 a very good point and is making a very good point
22 now today. The GA is probably drinking right now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in Germany, but I hope he is, about the fact what
2 has to come first is some idea of a structure that
3 is going to encompass India and China and the
4 other big emitters, Brazil, Mexico, Indonesia or
5 else we'll be doing something which constrains us
6 and the Europeans and puts us at an economic
7 disadvantage competitively and does nothing to
8 improve the global climate, because, as you know,
9 and I won't dwell on this, the increase in CO₂
10 emissions from China alone is going to be double
11 the rate, triple the rate of the United States and
12 exceed us in absolute bounds by, I think, 2007 or
13 2009 or something like that.

14 So absent some agreement about how to
15 get the developing economies, the emerging, the
16 big emerging economies to play in this game, we
17 are really not going to by ourselves or by
18 ourselves with the Europeans and the Japanese have
19 any ability to improve.

20 Now, there are many different ways of
21 talking about what the prospects of that are, but
22 in brief the prospects are not good and there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly is no progress on the subject about how
2 do you engage India and China in this. Chatting
3 in Beijing at diplomatic meetings is not a way to
4 get there. There are much more fundamental
5 differences.

6 When I was in India in February, their
7 minister of planning, who is their energy person,
8 said to me our principle is that every person in
9 the world should have a right to emit so many
10 pounds of CO₂ per year. Now, that's, you know,
11 interesting if you've got a billion people or a
12 billion-three.

13 If you're only a modest country like us
14 with a much bigger GD, so this issue behind all of
15 this is this issue about how do you -- since our
16 purpose is to protect the climate, that's why
17 we're undertaking this, how do you get this? We
18 don't have an answer to that. We're technical
19 people.

20 Let me conclude by just saying the
21 single most important thing that I would advocate,
22 if I were a Member of this distinguished group, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to say if you don't get some operating carbon
2 sequestration projects at scale properly run,
3 properly instrumented with a regulatory framework
4 developing at its side, you are putting at risk
5 coal in the most severe way.

6 That's the highest priority that I
7 think this group should address. Let me stop
8 there and I really welcome questions on any
9 subject and I want to talk about anything you all
10 do, and as I say, if necessary, I'll call on Janos
11 Beer to protect me. Thank you very much.

12 (Applause)

13 CHAIRPERSON NELSON: Thank you. Yes?

14 MR. WOOD: Jon Wood with Foundation
15 Coal. I think we all received quite well your
16 emphasis on carbon capture and storage and the
17 need to get on with that. One question I have
18 about the study is I think some concerns have been
19 raised that at the same time you put emphasis on
20 some market mechanisms, a carbon tax or a cap and
21 trade system, that some would argue will help spur
22 the development of CCS, but others would suggest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the near term it may actually create a
2 disincentive and drive people to fuel switching,
3 which lessens their incentive to invest in coal
4 technologies, including CCS.

5 What -- how -- did you all address that
6 conflict?

7 PROFESSOR DEUTCH: I don't understand
8 it, sir. Please, help me.

9 MR. WOOD: Well, the idea is that if
10 you put a carbon tax on and people start fuel
11 switching to gas or nuclear plants, etcetera,
12 there is less incentive then, there is less -- in
13 the business community, there is less interest in
14 developing carbon capture and storage for coal.
15 And so that the two policies may be in conflict.

16 You identified CCS as being critical to
17 the future of coal and if you believe coal is
18 critical to the future of U.S. Energy Policy,
19 that's one thing, but at the same time you are
20 instituting policies which drive people away from
21 coal and away from CCS investment.

22 PROFESSOR DEUTCH: There is no question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about the fact that a carbon charge will shift
2 coal. There will be less coal used, less
3 investments made in coal plants than if there was
4 business as usual. The question is compare
5 another kind of constraint policy to a carbon tax
6 and carbon -- or a carbon cap and trade system.
7 We believe that if the price goes up, that the new
8 technology use of coal will become attractive,
9 even in the presence of nuclear powers expansion,
10 which is, let me say, dubious.

11 Natural gas isn't going to be cheap
12 enough. We think that even at those prices, coal
13 will do very well and eventually coal will
14 dominate when carbon capture and sequestration is
15 available, if it becomes so. So we think that
16 this is the best way to go for introducing new
17 technology. But the consequence that you will
18 shift away from coal to other fuels is certainly
19 the case, however, you constrain carbon emissions.

20 Yes, sir?

21 MR. ALTMAYER: Tom Altmeyer with Arch
22 Coal. I appreciate all the work you and your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 colleagues have done. Is it working? I
2 appreciate all the work you and your colleagues
3 have done and the insights you have provided. I
4 happened to be at the Center for American
5 Democracy last week and I was very heartened that
6 you were there talking about reality to the
7 basically environmental journalists, etcetera, on
8 the need to use coal.

9 The world also faces a need to generate
10 more energy. The United States has an acute need
11 for more energy. Over the next 10 to 15 years, as
12 carbon capture and storage is maturing, if you
13 make construction of new coal contingent upon
14 carbon capture and storage, you're not going to
15 see new coal plants. Nuclear are not expected to
16 -- at maybe the earliest 10 years from now.

17 Should we just be building more natural
18 gas facilities in the interim until carbon capture
19 and storage is available or should we just try to
20 conserve and be more energy efficient? Have you
21 given thought to that in your deliberations?

22 PROFESSOR DEUTCH: Well, you know, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just was at a meeting with Jim Rogers, who is a
2 Member of this group, who talked about the
3 responsibility of a utility to produce electricity
4 for its customer community and to do it in a way
5 which doesn't have a lot of interruptions in it.

6 I think in this country we are moving
7 toward a situation where people are saying it's
8 just too hard. The generating electricity part is
9 too hard. There is so much uncertainty, so much
10 public policy uncertainty that investments aren't
11 going to be made. The only kind of investments
12 that are going to be made are low capital cost
13 packaged natural gas, if the natural gas prices
14 remain in sight.

15 So I must say, I mean, I'm not here
16 bringing you great or good news, but I think
17 electricity generation in the United States is in
18 deep trouble. I don't see nuclear plants coming
19 online as fast as I would like them. I certainly
20 don't see coal plants. I wish I had a solution
21 for you, but I do think we're facing that.

22 Now, that, of course, is not the case

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in China, regardless of what they tell you at
2 these Chablis and Brie parties that they have in
3 Beijing, they are building coal plants as fast as
4 they can. But for the United States, we've got a
5 serious public problem about how to build
6 generating electricity plants. So I agree with
7 you, but I don't have an answer for you.

8 I certainly don't think that what the
9 coal study at MIT says, we're saying how are we
10 going to deal with the reality that's facing us,
11 but I don't offer a solution to the problem you
12 raise.

13 MR. LEER: Steve Leer with Arch Coal.
14 In the study and as you deliberated on really the
15 -- getting 10 major sequestration plants up and
16 running worldwide, what do you figure the cost,
17 the investment needed to really get that
18 established? Is it a few billion a year? Is it
19 more than that?

20 PROFESSOR DEUTCH: We just wrote a
21 letter. Ernie Moniz was the co-chair of the study
22 with me. We just wrote a letter to the Senate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Energy Committee taking kind of an outside number,
2 the most it would cost including the purchase of
3 the CO₂ to do it. So when you're taking a market
4 price on CO₂ to do it, a million tons a year, over
5 a 10 year period for a single project could be as
6 high as \$800 million.

7 Now, again, as a person who has spent a
8 lot of the public's money in different jobs, you
9 know, that's over a 10 year period, \$800 million,
10 to do it right. Now, all of the projects in
11 legislation today do not talk about where the CO₂
12 is coming from or they, I think, really badly say
13 well, we also have industry cost-sharing. We have
14 to have industry cost-sharing for what is a vital
15 public problem. I don't understand that.

16 I mean, if it was a technology matter,
17 it's another issue. Here we're talking about an
18 environmental control measure that is the
19 sequestration part of speaking about that. So I
20 will say to you that it is, in my mind, totally
21 affordable.

22 You know, I just happened to see real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dollars spent on energy by the DOE over the last
2 30 years, to get back to my time period when I was
3 undersecretary, I was spending triple the amount
4 of money that they are spending today on energy
5 R&D and things like that. So it's completely
6 affordable and we don't have to pay for it all,
7 except the projects in the U.S.

8 When I say there are 10 around the
9 world, you know, other countries have to do their
10 share elsewhere in the world, another job.

11 MR. LEER: I mean, I would agree if you
12 sit there and think -- if you look at Gore's
13 projections of doom and gloom and, you know, if
14 you are saving the world a billion a year for 10
15 projects, it isn't a hell of a lot of money.

16 PROFESSOR DEUTCH: It's \$800 million,
17 right, exactly. A billion a year for 10 projects
18 is not a lot of money. It is, in fact, excuse the
19 expression, peanuts for the scale of this problem.

20 And also from the point of view of what will
21 happen if we get caught having a policy that
22 assumes its existence before it has got the public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and confidence, the confidence of industry.

2 Thank you. Thank you very much.

3 CHAIRPERSON NELSON: Thank you very
4 much.

5 PROFESSOR DEUTCH: See you in a couple
6 of weeks. Thank you very much. Thank you.

7 (Applause)

8 CHAIRPERSON NELSON: Let's take a 10
9 minute break.

10 (Whereupon, at 10:37 a.m. a recess
11 until 10:50 a.m.)

12 CHAIRPERSON NELSON: Okay. We'll
13 reconvene the meeting. It is my pleasure to
14 introduce our next speaker Bill Brownell. Bill
15 has addressed this Coal Council on many occasions.

16 His practice focuses on environmental litigation,
17 regulation and counseling, including Clean Air
18 Regulation. He is often here to educate us with
19 his expertise about the matter and I would like to
20 welcome Bill.

21 (Applause)

22 MR. BROWNELL: Thank you, Georgia. My

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 presentation sort of follows on the last one,
2 because I'm going to talk some about the public
3 policy uncertainty that faces coal generation.
4 And in particular, I'm going to focus on a couple
5 of things in the litigation and regulatory area.
6 One is new source review and the other is the CO₂
7 carbon issue. And in each area talk about some of
8 the implications for what's going to happen in the
9 future with respect to the Supreme Court decisions
10 that came out on the 2nd of April.

11 As you all know, coal has faced a lot
12 of regulatory challenges, both existing and new
13 plants. Existing plants through regulatory and
14 litigation have faced a lot of scrutiny over the
15 past decade. There has been a lot of talk about
16 the need for new efficient coal generation. Yet,
17 when you go and try and permit a new coal plant,
18 that's pretty tough, too, it's almost gotten to be
19 like permitting a nuclear plant with all of the
20 issues that are raised and all of the litigation
21 that results.

22 I think these two Supreme Court

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 decisions have some interesting implications for
2 what the future looks like. And when I'm talking
3 about the future, I'm talking the near term to
4 intermediate term future with regulation and
5 impacts on coal. Let me start with the
6 environmental defense decision on new source
7 review.

8 You know this whole issue is the
9 modification question when an existing facility
10 can be a coal generating facility or an industrial
11 facility undertakes activity that makes it like a
12 new facility, so it's got to meet all the new
13 source control requirements.

14 And what this controversy really has
15 been all about is whether you can maintain the
16 efficiency, design efficiency, design reliability
17 of existing coal fire generation or even improve
18 efficiency without triggering new source
19 requirements. Let's talk a little bit about what
20 the decision said and what they didn't say and
21 then about what the regulatory future looks like.

22 The environmental defense decision from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 April 2nd, this is the actual holding of the
2 decision. "The Court of Appeals reading of the
3 1980 PSD Regulations intended to align them with
4 new source performance standards was inconsistent
5 with their terms and effectively invalidated them.

6 Any such result must be shown to comport with the
7 Act's restrictions under judicial review of EPA
8 Regulations for validity."

9 What does that say? Not a hell of a
10 lot. This addresses one technical issue raised in
11 an enforcement case about the major modification
12 rule and how you do emissions increase
13 calculations. There are lots of other questions
14 that need to be resolved to know whether or not a
15 project's modification is something that triggers
16 application of new source control.

17 So the first point is that there is a
18 lot still to be resolved with respect to the
19 historic meaning of regulations. Now, there have
20 been other courts besides environmental defense
21 that have addressed this question. D.C. Circuit,
22 for example, as you all know, the D.C. Circuit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 vacated what was called the "Equipment Replacement
2 Provision Rule." That rule that said we presume
3 that any replacement project that's like kind and
4 costs less than 20 percent of a replacement
5 facility is routine and not a modification.

6 What did that court say? Well, it
7 vacated the rule, but it said "We have no occasion
8 to decide whether part replacements or repairs
9 necessarily constitute a modification under the
10 definition taken as a whole." What you see is the
11 court's shying away from the ultimate decision,
12 what's a modification, which leaves a lot of
13 uncertainty, of course, regarding the historic
14 meaning of the regulations.

15 The second part of these decisions,
16 however, what does it mean for the future? What
17 do these decisions say about EPA's authority at
18 least going forward to provide some clarity? We
19 know this area is a mess historically. There is
20 the enforcement litigation. There is debate as to
21 what the historical rules going back to 1980 and
22 even before 1980 means.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But these decisions, both the D.C.
2 Circuit and the Supreme Court has said things
3 about the nature of EPA's authority and that's the
4 next thing I want to address briefly.

5 Modification is a physical or
6 operational change that causes an increase in
7 emissions. None of these cases talk about what
8 cause an increase in emissions is, but they also
9 say that EPA has got very broad authority to
10 define what an emissions increase is, even though
11 there is disagreement about what the rules in
12 emissions increase meant historically.

13 The D.C. Circuit, in this case, we call
14 it "New York II," it's the case that vacated the
15 Equipment Replacement Provision Rule said the word
16 increases in the Clean Air Act is ambiguous and
17 Congress' use of the word increase necessitates
18 further definition regarding rate and measurement.

19 Okay. EPA has got a lot of discretion to say
20 what it means.

21 The New York I case, the case that
22 upheld the current emissions increase test said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the same thing. The D.C. Circuit said that Clean
2 Act is on how to calculate increase in emissions
3 and EPA has got discretion to choose an
4 interpretation to define the term in a way that
5 balances economic energy and environmental
6 considerations. They got broad discretion.

7 What did the Supreme Court say in
8 environmental defense? "We disagree with the 4th
9 Circuit and with the District Court on this
10 technical point on increase for major modification
11 purposes, but EPA's construction of modification
12 going forward need to do no more than fall within
13 the limits of what is reasonable as set by the
14 Act's common definition of modification."

15 Now, why do I go through this authority
16 question? There is important regulatory
17 developments that are going forward at the Agency
18 to provide some clarity on what happens when an
19 existing facility undertakes activity to maintain
20 its design reliability, maintain its efficiency.

21 And of course, as we have heard earlier
22 on and as you see in the Coal Council's report,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 efficiency is important from a carbon standpoint.

2 Increasing efficiency of existing capacity and
3 improving efficiency of new generation. In
4 December of 2002, EPA issued one set of new source
5 review reform rules that provided what's called a
6 projected annual emissions increase test. And
7 that's the test that people are using right now
8 when they undertake repair and replacement
9 projects.

10 For example, there was a controversy a
11 number of years ago about Detroit-Edison's Monroe
12 Station replacing turbine blades using much more
13 efficient dense pack turbine package in order to
14 increase the efficiency of the generating unit.
15 And the question was does that project trigger
16 major modification analysis?

17 In that case, it did not trigger,
18 because there was no projected increase in
19 emissions as a result of the efficiency
20 improvement. It was a base load facility. It had
21 been run traditionally as a base load facility,
22 would be run as a base load facility in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 future.

2 So in that case, you saw an example of
3 efficiency improvement under the reform rules in
4 2002 or at least a similar test not resulting in
5 major modification, that's important from a carbon
6 standpoint, that's important from maintaining the
7 efficiency and reliability of existing generating
8 capacity.

9 Even more important, there is another
10 phase in the NSR reform regulatory development
11 that's pending right now. There was a proposed
12 reform rule back in October of 2005 and a
13 supplemental notice on this proposed rule just
14 came out this past summer and it would make very
15 clear it would not eliminate the projected annual
16 test, but it would make very clear that to trigger
17 that projected annual test, you need activity that
18 increases the fuel burning you are emitting
19 capacity of the existing generating facility.

20 It would make very clear that activity
21 undertaken to maintain reliability, to maintain
22 efficiency, to even improve efficiency to deal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with things like carbon is not something that
2 triggers new source review under the Clean Air
3 Act. EPA in its regulatory agenda has this rule
4 making schedule for conclusions some time later
5 this year, but it is very important to provide
6 this clarity and based on what the courts have
7 been saying about the nature of EPA's authority,
8 it's very consistent with going forward with this
9 rule making.

10 So that's something to keep an eye on,
11 because it's going to be important, not only from
12 the Clean Air Act standpoint, but also from a
13 carbon standpoint going forward to improve and
14 maintain efficiency.

15 Let me move and talk a little bit about
16 what I think is really the more significant issue
17 or potentially the more significant issue right
18 now. It is tied in both with the Clean Air Act,
19 but it also has broader implications, and that's
20 this April 2nd 5-4 decision in Massachusetts v. EPA
21 dealing with the Clean Air Act authority to
22 regulate carbon emissions, CO₂.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, this decision dealt with a whole
2 bunch of technical legal issues, which are of
3 interest to lawyers, not so much to this group
4 perhaps standing. For example, the majority
5 stretch to find standing for the States to bring
6 this challenge by saying that States have
7 procedural standing without meeting all the normal
8 standing criteria. Though four Justices and a
9 minority blast the majority over that. They found
10 traditional standing requirements applying.

11 If you apply traditional standing
12 requirements, there is no standing here. So that
13 was the first part of the decision, very
14 controversial.

15 Second, the question of air pollutant.
16 Is CO₂ and air pollutant under the Clean Air Act?
17 The majority said yes. An air pollutant is
18 virtually anything which prompted an amusing
19 footnote, a reverent footnote by Justice Scalia
20 saying that under the majority's definition of air
21 pollutant, anything that enters the air including
22 frisbees and flatulents would be air pollutants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 A very broad definition of air pollutant.

2 Then the most important points come
3 with respect to the Substantive Rule Making
4 Petition. As you all probably recall, this case
5 rose out of a rule making petition to set mobile
6 source standards under Section 202 of the Clean
7 Air Act.

8 And the third question in the case is
9 what EPA had to do to deny that rule making
10 petition. EPA went through a bunch of policy
11 considerations and scientific uncertainty and said
12 that for all of these reasons, it's not neither
13 the time for us to regulate and we don't have the
14 basis to regulate under the Clean Air Act, even if
15 we do have authority.

16 When the court addressed EPA's denial
17 of the rule making petition, they disagreed that
18 EPA had relied on appropriate factors in denying
19 the rule making petition, which prompted Justice
20 Scalia and the Senate to say what else could they
21 have said? They said everything that you could
22 possibly have wanted them to say.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But the majority opinion said EPA must
2 provide some reasonable explanation as to why it
3 cannot or will not exercise its discretion to
4 determine whether CO₂ emissions endanger public
5 and the health and welfare. If the scientific
6 uncertainty is so profound that it precludes EPA
7 from making a reason judgment, it must say so.

8 The court did not tell EPA it has got
9 to regulate CO₂ under Section 202 or under any
10 other section of the Act. It told them to go back
11 and make an endangerment finding based on
12 scientific uncertainty. It made very clear at the
13 end of the decision we need not and do not reach
14 the question whether on remand EPA must make an
15 endangerment finding or whether policy concerns
16 can inform EPA's actions in the event that it
17 makes such a finding.

18 So EPA has got two questions on remand.

19 First, is there enough scientific evidence for us
20 to say endangerment or arguably they could say no
21 scientific evidence, not sufficient evidence to
22 say one way or the other. But if they do make an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 endangerment finding, there is still important
2 discretion with respect to the timing of any
3 regulatory activity after that.

4 So based on that background, let's talk
5 a little bit about implications and what happens
6 on remand. This case will ultimately wind back up
7 before the Agency and people at the Agency are
8 working very hard right now on what to do, both
9 under Title II of the Act and what implications
10 this has for regulation of stationary sources
11 under Title I of the Act.

12 The first thing EPA is going to have to
13 do is to look at this endangerment standard from
14 mobile sources under Section 202 of the Act.
15 Section 202 authorizes regulation if the
16 administrator reasonably determines that the air
17 pollution in question will endanger public health
18 and welfare and then requires him to set standards
19 for motor vehicles, if he makes that endangerment
20 finding.

21 From what I understand, the Agency is
22 likely going to undertake a proceeding over the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 next 18 months to determine whether or not to make
2 that endangerment finding and whether or not to
3 follow on that endangerment finding with some
4 regulation of motor vehicles, either under the
5 Clean Air Act or under the authority that the
6 Department of Transportation has under the Energy
7 Policy and Conservation Act.

8 So this is going to be a very important
9 issue for a whole variety of reasons over the next
10 18 months for coal.

11 First of all, if authority is exercised
12 under the Clean Air Act and CO₂ becomes a
13 regulated pollutant under the Clean Air Act, there
14 is a best available control technology issue that
15 has to be addressed in the context of permitting
16 new or modified facilities. That's the first
17 important issue.

18 Now, in some permit proceedings we see
19 out there already, and in particular in a recent
20 one concerning the Holcomb Generating Facility in
21 Kansas, there are public interest groups that are
22 making arguments that CO₂ is a regulated pollutant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 under the Clean Air Act merely by virtue of the
2 Massachusetts decision. I don't really agree with
3 that analysis. It's an air pollutant, we know,
4 but it's not a regulated air pollutant until some
5 action is taken to regulate.

6 But there is a big focus on new source
7 permit proceedings right now and what needs to be
8 done, from a control standpoint on CO₂, and we'll
9 see that only get more intense as EPA moves
10 towards some sort of regulatory decision under
11 202.

12 The second question and perhaps more
13 significant question becomes what happens under
14 Title I for stationary sources? The threshold for
15 regulation under each of the Title I provisions
16 includes standards similar to the endangerment
17 standard. And the sorts of regulatory provision
18 programs one sees under Title I are the Ambient
19 Air Quality Standard Program, the New Source
20 Performance Standard Program, even the Air Toxics
21 Program.

22 You know, as you start looking at these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Title I provisions, it really brings home that the
2 Congress was not thinking about regulation of CO₂
3 or carbon when they wrote the Clean Air Act
4 initially, when they amended it in 1990, because
5 none of these provisions fit the carbon issue very
6 well.

7 Ambient Standards Program, what do you
8 do with an ambient standard for CO₂? You put the
9 entire country in non-attainment or do you put the
10 entire country in attainment? It's a global
11 pollutant. The concentrations are uniform. The
12 program really doesn't make much sense when you
13 talk about CO₂.

14 Section 111, New Source Performance
15 Standards and Existing Source Performance
16 Standards, what does that mean? What's best
17 available demonstrated control technology for
18 setting emission limitations for CO₂? Air toxics,
19 why is CO₂ an air toxic? Those questions are the
20 questions that are going to be debated and
21 analyzed under Title I of the Clean Air Act over
22 the next 18 months in the remaining term of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Administration and probably into the next
2 Administration.

3 We heard from the earlier speaker from
4 MIT that a real danger on carbon is that we make
5 decisions on technology and we freeze technology
6 today. The danger of these existing Clean Air Act
7 programs and authorities is that they are all
8 about looking at the technology that's available
9 today and making that technology choice now for an
10 issue that really has to be dealt with in terms of
11 decades, not months or years.

12 NSPS is best available, best
13 demonstrated control technology. NSR is best
14 available technology. We do the economy and the
15 environment substantial harm by jumping to these
16 regulatory decisions and freezing technology now.

17 But that's what's at stake in this debate that's
18 going on over the next 18 months.

19 The final point I would like to make
20 about all of this is that we hear lots of things
21 from the groups in the States that are -- pressed
22 this litigation and pressed other regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 efforts at the State and regional level about the
2 intent of all of this is really to force the
3 Federal Government to get its act together and do
4 something with respect to federal carbon
5 legislation. Do something at the federal level.

6 Because I think everyone agrees that
7 that's the way it needs to be thought about given
8 a pollutant that -- or given a substance that's
9 uniform in its concentration, that's emitted
10 nationally, that's emitted around the world. You
11 can't deal with it piecemeal, that increases costs
12 and it, in effect, can work to the detriment of
13 the environment by doing it that way.

14 But query, now that the cat is out of
15 the bag here, whether you can put it back in.
16 Congress' job became much more difficult because
17 of the Massachusetts' decision, because there is
18 going to be a debate that has to be resolved in
19 Congress through legislative amendments that are
20 going to address existing authority as well as
21 potential new authority.

22 But it is going to be very important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that Congress think about all of these issues at
2 the same time. What do we do to clarify the
3 nature of existing authority or the lack of
4 existing authority when we adopt any new program
5 that's going to go to the future? What do we do
6 with respect to State and regional programs? Do
7 we preempt? Do we set standards for States and
8 regions to follow through on those programs?

9 How do we make sense of this
10 tremendously complex issue, so anything that is
11 done is cost effective and is going to help the
12 carbon situation? We've got a tremendously
13 challenging regulatory future, legislative future
14 as a result of this and some very significant
15 developments will confront us over the next 18
16 months. Thank you.

17 (Applause)

18 CHAIRPERSON NELSON: Lots of time for
19 questions.

20 MR. PALMER: Good job. First of all,
21 we have -- we now have a law and we have an
22 Agency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BROWNELL: Yep.

2 MR. PALMER: And there is one school of
3 thought that says maybe that's okay. And backed
4 principles applied today would not require any
5 sequestration, even if there is an endangerment
6 finding, as I understand backed, but that's not
7 the question.

8 The President signed an Executive Order
9 to implement, in part, due to the Supreme Court
10 decision with respect to autos and I believe the
11 gist of that order is to take his alternative
12 fuels goal, 35 billion gallons a year, I think is
13 right.

14 MR. BROWNELL: Yeah.

15 MR. PALMER: And basically to tell EPA
16 working with the other agencies that have
17 jurisdiction over such matters, including DOT, to
18 come up with rule makings to implement that and
19 that is in partial response to that, as I
20 understand it.

21 In the order, alternative fuels are
22 defined by reference to th 2005 Energy Policy Act,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which includes coal-to-liquids.

2 MR. BROWNELL: Right.

3 MR. PALMER: And coal-to-liquids with
4 carbon capture and sequestration in biomass coal
5 firing gives a better carbon footprint than
6 anything you want to compare it with and
7 particularly diesel versus gas.

8 MR. BROWNELL: Um-hum.

9 MR. PALMER: So is there an opportunity
10 in all of this, with respect to EPA, to advance
11 coal-to-liquids as, and particularly diesel, an
12 alternative to gasoline produced from imported
13 oil?

14 MR. BROWNELL: The easy part of that is
15 -- answer to the question, is there going to be an
16 opportunity? Yes, there will be an opportunity,
17 because this is going to be a public proceeding
18 with opportunity for comment and debate over the
19 next 18 months to implement the Clean Air Act
20 authority and/or the Department of Transportation
21 authority pursuant to the Executive Order.

22 And, you know, as you recall in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Executive Order, it stresses that economic cost
2 effectiveness energy principles are all very
3 important to this. There are a whole range of
4 options that might be considered for motor vehicle
5 regulation from simply CAFE type approach, you
6 know, improving miles per gallon, to alternative
7 fuels approaches.

8 But, yes, Fred, it's all going to be on
9 the table and I think it's important that the
10 analysis that's contemplated by the Executive
11 Order consider all of those options.

12 MR. PALMER: Okay.

13 MR. BROWNELL: Other questions? Paul?

14 MR. CICCIO: Bill, thank you very much.

15 The Supreme Court decision injects more
16 uncertainty into coal fired power plants. And my
17 question is, you know, what -- 18 months is a long
18 time and how is that going to change the
19 probability of increased permitting or increased
20 action on the part of electric utilities to move
21 forward with permitting of coal fired power
22 plants?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROWNELL: All right. There is a
2 tremendous demand for additional generation around
3 the country and, of course, there are many permit
4 proceedings either pending or anticipated as a
5 result of that coal generation. This is another
6 issue for those permit proceedings which we're
7 seeing start to play out. How it's going to play
8 out, for example, in this Holcomb case in Kansas,
9 where the intervenors are very much focused on how
10 do we -- what do we have the plant do with respect
11 to carbon?

12 And in that case, they are asking for
13 best available control technology and have ideas
14 about what that should be, including building
15 alternative facilities, such as IGCC. And I
16 questioned whether that is backed. As Fred
17 commented, when you look at the backed criteria
18 and what is available today, you know, there is
19 really nothing that you define as backed.

20 But the problem and the uncertainty is
21 that until there is some resolution of that and
22 resolution is going to take administrative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 proceedings and litigation, that it remains an
2 uncertainty.

3 So what I tend to say when talking to
4 people about the implications of some of the
5 recent developments for permitting new generation
6 is that new generation is going to be built. It's
7 going to be permitted. It's just going to take
8 more time and cost more money to do it. And
9 that's unfortunate for a whole number of reasons.

10 CHAIRPERSON NELSON: Thank you, Bill.

11 MR. BROWNELL: Okay. Thank you,
12 Georgia.

13 (Applause)

14 CHAIRPERSON NELSON: Thank you, Bill.
15 John Ward serves as Vice President of Marketing
16 and Government Relations for Headwaters
17 Incorporated. Previously, he was the Vice
18 President of Marketing and Communications for ISG
19 Resources, Inc., America's largest manager
20 marketer of coal combustion products. John,
21 welcome.

22 MR. WARD: Good morning. I'll be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 speaking today and give you an update on the coal-
2 to-liquids front which is receiving really an
3 unprecedented amount of attention inside the
4 Beltway now. Those of us who spend too much time
5 here are never quite sure how much of it is
6 leaking out into the rest of the country. But we
7 have over a dozen bills containing coal-to-liquids
8 incentives in play on Capitol Hill right now and
9 it's attracting an extraordinary amount of
10 attention.

11 And inasmuch as this represents a
12 potential totally new opportunity for coal in this
13 country and we're looking at it now for really the
14 second or third time, we thought it would be good
15 to go through it and make sure that you are all
16 aware of the things that are in play here.

17 We're going to move through these
18 slides very quickly, but you'll have copies of
19 these afterwards. I've included both the lower
20 division and upper division courses in coal-to-
21 liquids here for you. And, of course, some of the
22 CTL 101 things are going to be very familiar to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lot of people in this room, but there is also a
2 lot of uncertainty amongst people you will talk to
3 about what coal-to-liquids is, so we felt it would
4 be a good idea to give the basics again.

5 There is only two slides in this whole
6 presentation worth remembering and this is one of
7 them. So the opportunity for this is the poly-
8 generation opportunity. If I take a ton of coal
9 and I gasify it and I use all of the same gas to
10 produce electricity, which is in the pantheon of
11 energy products, the lowest value products, I'm
12 going to get about \$120 worth of value out of that
13 ton of gasified coal. That's the IGCC model,
14 basically.

15 Now, if I take that ton of syngas and
16 decide to do other things with it, make some
17 electricity, but also make some higher value
18 liquid transportation fuels, I can increase the
19 value coming out of that ton of coal. I go all
20 the way to a true poly-gen, I make some fuel, I
21 make some power, I make some chemical feed stock
22 or mononitrate fertilizer and that kind of thing,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I can get over the -- double the amount of
2 economic value out of that ton of coal than I can
3 just burning it to make electricity.

4 So the question is if there's all that
5 value locked up inside the coal, how come
6 everybody is not doing the thing on the bottom
7 right now? And that is the commercialization gap
8 that we find ourselves at that we will talk a
9 little bit about more now.

10 There are three basic ways. Well,
11 there's two basic ways to do coal-to-liquids.
12 There is indirect coal liquefaction and direct
13 coal liquefaction. Indirect, because I go from a
14 solid to a gas first and then to a liquid, so it's
15 indirect. Direct coal liquefaction is a
16 technology that takes it directly from the solid
17 to the liquid state. There is also some work
18 going on now on a hybrid that combines elements of
19 both technologies, both core technologies.

20 In the direct liquefaction process,
21 you're basically pulverizing the coal, mixing it
22 with a heavy resid and under temperature and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pressure, you are forcing more hydrogen into the
2 coal molecules and breaking it down into basically
3 a synthetic crude that you then further refine,
4 just like you would a petroleum product.

5 One of the key things, I'm sure you
6 will all remember this slide, to keep in mind on
7 this one is that the direct coal liquefaction
8 process needs hydrogen. All right. The direct
9 coal liquefaction process was invented by the
10 Germans back in 1917. They used it to produce
11 aviation fuel during World War II.

12 The United States spent \$3.5 billion
13 improving this technology during the 1970s. And
14 the pilot work was done on this facility in
15 Lawrenceville, New Jersey, which is now a
16 Headwaters facility. It was scaled up to
17 demonstration scale in Kentucky at 1,800 barrels a
18 day and then the OPEC crashed the price of oil and
19 we decided to walk away from it.

20 This technology has been licensed to
21 China and Xianhua Corporation is now the plant on
22 the right, the first 17,000 barrel per day, this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be the first commercial scale demonstration
2 of the direct coal liquefaction technology. That
3 plant is under construction and scheduled to open
4 in late 2008.

5 The indirect coal liquefaction, again,
6 the front end of this thing is everything that you
7 already know about an IGCC plant. All right. You
8 gasify the coal. You also make some power, but
9 instead of just making power, you also take carbon
10 monoxide and hydrogen from that and through a
11 process called Fischer Tropsch, the catalytic
12 process, you convert that carbon monoxide and
13 hydrogen into liquid fuel feed stock.

14 An interesting thing about this
15 process, you produce a lot of steam in this
16 process and you actually produce some excess
17 hydrogen in this process. This was also invented
18 by the Germans, this is where you get the term
19 Fischer Tropsch, Hans and Frans, that's my
20 Saturday Night Live joke. Fischer Tropsch
21 invented that back in 1923. The Germans used this
22 to produce diesel fuel during World War II.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And this is a technology that South
2 Africa currently uses to produce 150,000 barrels a
3 day of liquid fuels from coal. If any of you have
4 ever flown to Johannesburg, the plane you flew
5 back on was fueled with aviation fuel made out of
6 coal. So if anybody tells you this is still a
7 science experiment, encourage them to fly to
8 Johannesburg.

9 An interesting historical satellite, it
10 was actually scientists in the Manhattan Project
11 after World War II who were dispatched to Germany
12 to collect these technologies and learn more about
13 them, brought them back to the United States. We
14 were actually on our way the first time to deploy
15 Fischer Tropsch technology in the early '50s.

16 The plant on the bottom there is a
17 plant run by one of our predecessor companies from
18 1950 to 1955, ran, you know, at that point,
19 producing liquid fuels using the Fischer Tropsch
20 process. That plant shut down when cheap oil was
21 discovered in Saudi Arabia.

22 We got ready to do it again in the '70s

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 during that energy crisis and then it crashed the
2 price of oil and we got -- this is actually our
3 third bite of the apple for this technology. The
4 question is whether we have the will to go through
5 with it now. And you heard earlier speakers this
6 morning question, you know, what are oil prices
7 going to be in 30 years, that is one of the
8 reasons on that first slide, the only one worth
9 remembering, not everybody is doing the highest
10 value application for coal.

11 We will take a quiz on this one at the
12 end. Bottom line of this comparison of products
13 that come out of direct and indirect, the bottom
14 line, direct makes a really good gasoline, not
15 such a good diesel fuel. Indirect makes a really
16 good diesel fuel, not such a good gasoline. So
17 there's some synergies in that process. Both of
18 them from an environmental standard are extremely
19 clean fuels. These fuels are much cleaner than
20 the fuels that come out of a traditional petroleum
21 refinery today.

22 This is the hybrid concept again

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 because you've got efficiencies, indirect mix
2 hydrogen, direct needs hydrogen, indirect mix
3 steam, direct needs steam, direct makes good
4 gasoline and indirect makes good diesel fuel.
5 This is the design for a hybrid project that's
6 currently in front end engineering design for a
7 project that going on in the Philippines that
8 would combine elements of both technologies. And
9 we think if there really is a coal-to-liquids
10 industry from now, these are probably the kind of
11 plants that people will start building.

12 Nobody is going to build one of these
13 today in the United States though, because the
14 technology is not commercially proven. You can't
15 get a bank DV loan for it.

16 So just a profile of a plant. These
17 are big facilities. This would be a 40,000 barrel
18 a day plant. You're talking about 8.5 million
19 tons per year of bituminous coal feed on that and
20 you're talking about closer to 12 million tons a
21 year of the low rank or lignite coal feed for
22 these. These are very large facilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 To give you an example of this, we get
2 thrown into biofuels, I'll give you an example of
3 scale comparison. Our company just opened its
4 first ethanol plant. We built an ethanol plant
5 right next to a coal-fueled power plant. We use
6 the waste heat from the power plant to drive the
7 ethanol production process.

8 50 million gallons a year production,
9 which puts it in a class of big ethanol plants.
10 From the time we decided to do it to the time we
11 turned it on was two years. It cost \$100 million
12 to build. We passed the hat to a bunch of banks
13 in North Dakota and Minnesota. They were more
14 than happy to give us the money, because they had
15 all loaned money to ethanol plants before and knew
16 somebody who did.

17 This coal-to-liquids plant, we will
18 spend two years just in the front end engineering
19 and design and we will spend \$50 million just in
20 the front end engineering of the design with no
21 guarantee that that plant will ever get built.
22 The cap X is going to be closer to \$3.5 billion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The construction time is going to be 5 to 7 years
2 with all the permitting and everything that gets
3 done. These plants are orders of magnitude larger
4 than what you are hearing about in the ethanol and
5 the bio-diesel world.

6 Why are we interested in it? The
7 President said we're addicted to oil. Worldwide
8 demand is going up. One of the reasons why a lot
9 of us think that we shouldn't worry so much about
10 where oil prices are going to be in 30 years is
11 because the dynamics are entirely different today,
12 than they were in the 1970s. Whether you believe
13 in peak oil or not, it's unquestioned that the oil
14 that is available out there is getting thicker and
15 more expensive to produce.

16 And the other elements that exist today
17 that didn't exist 30 years ago are things called
18 China and India. And when you look at what's
19 going on in the demand for energy products there
20 and the competition that that's going to create,
21 we are looking at a higher energy price
22 environment going forward and that's one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reasons we should be more confident in looking at
2 coal for these types of developments.

3 The other reason a lot of people are
4 interested, frankly, is that 90 percent of the
5 world's oil resources are held by national oil
6 companies or by cartels and most of those folks
7 don't necessarily like us and don't have any
8 obligation to play fair in that pricing
9 environment. So this is a powerful reason for the
10 United States Government to step in and provide
11 some incentives to level that playing field and
12 provide some certainty on the price going forward.

13 Potential projects going all over the
14 world. The -- mainly where the coal is. And the
15 projects in India and China are moving much faster
16 than the projects in the United States. Of
17 course, South Africa is the leader. They get 30
18 percent of their liquid fuel needs from coal-to-
19 liquids today and they are looking at expanding
20 that capability.

21 The projects underway in all of these
22 international locations, I'll spare you the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 commercials for where Headwater is doing it, why
2 are we interested in the United States? You have
3 all seen this chart before. Go ahead and pick
4 your favorite state and say X is the Saudi Arabia
5 of coal. All right. So more BTUs in the coal in
6 Montana than there is in the oil in Saudi Arabia.

7 So this is what we have. And I guess I don't
8 have to tell that to this group.

9 And the reason why you use it, you see
10 that blip in consumption back there in the 1970s?

11 That was our little oil crisis. This was when
12 OPEC made a bet. Well, you know, we'll take a
13 loss on this stuff for a little while to drive out
14 the competition. It was a pretty good bet,
15 because if you look at the difference between the
16 red and the blue line in the '70s and the
17 difference between the red and the blue line
18 today, we're more dependent on foreign oil today
19 than we were at the last energy crisis. And all
20 of the production and use projects from here show
21 that situation just getting worse, not getting
22 better.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 This has been a really cheery meeting
2 today, hasn't it? Why is there a growing interest
3 in the United States? Well, we've talked about
4 it. There's a couple of great reports. This body
5 produced its report last spring on the issue,
6 which is very helpful. The Southern States Energy
7 Board produced their's last spring as well.
8 There's links to both of those reports here in
9 this.

10 There have been public or private
11 interest expressed in coal-to-liquids development
12 in all of the States that are listed on that
13 slide. There are none of those projects actually
14 putting steel in the ground yet. All right. This
15 is a very formative stage.

16 Just an example of a project, this is
17 one that we're involved in in cooperation with the
18 North American Coal and Great River Energy,
19 American Lignite Energy, this is typical of the
20 kind of plants that are being discussed in the
21 United States today located in North Dakota.
22 You've got plenty of coal there. We've sized it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at about 32,000 barrels a day. Capacity we've got
2 \$10 million in funding support from the State of
3 North Dakota to help work on the front end
4 engineering design activities.

5 Carbon capture for enhanced oil
6 recovery is anticipated, also have a nice little
7 power plant attached to it, about 10 million tons
8 of coal consumption a year and \$3.6 billion cap X.

9 Again, a big project in the early front end
10 engineering design stages now. Will it get built?

11 I don't know.

12 It goes back to that original question,
13 doesn't it? Why isn't everybody doing the thing
14 that's on the bottom of that first slide, the one
15 worth remembering. This is a big and it's the
16 most confusing chart, but it's the only other --
17 it's the other one of the two that's worth
18 remembering. So I'll explain it.

19 The question that always come up is
20 what point are you competitive with oil prices for
21 this? And so what this chart does is the
22 different colored lines show different oil price

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 points. So if you are dealing in a \$40 oil price
2 environment on the bottom line or whether you're
3 dealing in a closer to \$70 oil price environment
4 on the top line, which is where we are today, what
5 is your internal rate of return on these plants
6 going to look like?

7 Now, this assumes no -- this assumes a
8 70/30 debt equity ratio, which means you can go
9 out and borrow 70 percent of the money, which is
10 not a given right now, but no federal subsidies.
11 And you see the break even point for a 10,000
12 barrel a day facility, which is about as small as
13 you can go and call it commercial really, is about
14 \$40 a barrel. And you see as the plants get
15 bigger, they make more money.

16 So if you had a plant operating today,
17 you know, which would be -- and say the one in
18 North Dakota 32,000 barrels today, oil prices at
19 \$62, you would have a 22 percent rate of return,
20 which is not bad and no federal subsidy to help
21 you do that.

22 Now, when we go to Wall Street and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 explain this, their question is yes, but what's
2 the price of oil going to be in 12 years when you
3 are paying back the loan? All right. That's the
4 issue.

5 This also does not include the cost of
6 carbon catching and sequestration. And as we will
7 discuss in a minute, that's going to be a
8 requirement on any of these plants. Every CTL
9 developer I have talked to is anticipating that
10 they are going to be doing it as part of their
11 project and it's probably going to add another 5
12 or 10 bucks to the break even point on this chart.

13 Quickly on the environmental. You
14 know, I'm going to start a cable TV network in
15 Washington, D.C. It's going to be the climate
16 channel. We're going to have -- actually, we'll
17 probably need two of them and we're going to sell
18 lots of ads. It's going to be all climate change
19 all the time. And we will fill it up. There's
20 like four hearings a week on Capitol Hill right
21 now. I don't think you could pass a school lunch
22 bill without assessing the carbon impacts of tater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tots.

2 But one of the key environmental
3 factors that gets lost in this is the clean fuels
4 nature of these products. All right. The fuels
5 that are made through the CTL process are
6 exceptionally clean. You are talking near zero
7 sulphur. You are talking lower knocks. You're
8 talking higher energy balance. You're getting
9 more efficient use out of the engine. You're
10 talking lower particulates.

11 And all of the criteria pollutants that
12 people used to care about, this stuff is superior
13 to the petroleum derived fuels that we use every
14 day. All right. Let's not forget that, okay,
15 because -- just because all we want to talk about
16 today is carbon, let's not forget that we have
17 this advantage to these fuels.

18 Now, answering the carbon question. If
19 you do CTL and do not capture and store the
20 carbon, yes, that is worse than petroleum fuels
21 from a carbon emission standpoint. However, if
22 you capture and store the carbon, on a life cycle

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 basis, on a well-to-wheels basis, the coal-to-
2 liquids fuels are at least as good or sometimes
3 better than the petroleum derived fuels that there
4 are now.

5 And there is ample additional
6 scientific evidence to strategies like co-
7 gasifying biomass in the process can allow you to
8 substantially decrease that carbon footprint below
9 what we are already doing now with petroleum
10 derived fuels.

11 But, you know, that's coal, folks.
12 Let's not forget that the reason for doing coal-
13 to-liquids in this country is not to solve the
14 climate problem. We need to deal with the climate
15 problem responsibly. But the reason for doing this
16 is energy security. The reason for doing this is
17 to make our nation less dependent on foreign oil
18 and to make our refining base more diverse and
19 less susceptible to disasters associated with
20 terrorism or hurricanes or other things like that
21 that happen.

22 Just to hit a couple of these, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know, these are the four main areas that the
2 energy security think tanks focus on when they
3 talk about energy security. You know, you want to
4 stay up at night. You know, 67 percent of all
5 Saudi oil output goes for a single facility.
6 There is a sulphur tower facility that takes the
7 sulphur out of this gas that if it is put out of
8 commission, that facility would be out of work for
9 a year.

10 All right. And so, you know, I'm a
11 dummy sitting at the Pentagon one day saying well,
12 gee, what if somebody flies an airplane into it
13 and, you know, the guy looks across the table and
14 says airplane, you know, give me a crew of
15 competent 19 year-old mortar operators and get me
16 within three miles of it, you know. They have
17 repelled three attacks at the facility in the last
18 two years.

19 So, you know, we're in a precarious
20 situation in this in our world today. But let's
21 answer the last -- let's answer the question asked
22 first to wrap this up. If this stuff is so good,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 how come everybody isn't doing it?

2 Well, you know, there is your reasons.

3 Number one, these things are big. They cost a
4 lot of money. You all in this room know how hard
5 it is to build a traditional power plant that
6 costs a few billion to build and get all your
7 permits and all of those kind of things and those
8 are plants that people are used to building and
9 plants that Wall Street is used to financing.

10 All right. Which takes us to the
11 second thing. We have to raise the money for this
12 in private capital markets and they are concerned
13 about, number one, the technology, even though the
14 South Africans have been doing it for 50 years,
15 you know, it's the phenomenon. Everybody wants to
16 be the first person to build the fifth plant. All
17 right. Those of you who have been dealing with
18 IGCC understand that.

19 We have the same thing going on here
20 and then there is the market price risk associated
21 with oil. Will it still be \$60 oil in -- you
22 know, when it comes time to pay back this thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And then it's -- then there's some market inertia
2 here. I mean, it's in nobody big's business model
3 to do these things. The oil companies could put
4 these up tomorrow. There are at least three oil
5 companies that own coal-to-liquids technology
6 stuffed back in the filing cabinets that could put
7 it up tomorrow, but they have no -- why would they
8 want to create a competitive industry for
9 themselves when they are doing quite well at the
10 moment. Thank you.

11 You know, utilities, you know, have
12 large balance sheets. You know, you guys are
13 having a hard time getting your PSE to let you put
14 an ECC plant into place. You know, how are you
15 going to convince them now that we're going to
16 become a fuel distributor, too. Smaller companies
17 like Headwaters or Rentech or Syntroleum or some
18 of these others, you know, they may have an
19 interest in disrupting an industry, but they don't
20 have a balance sheet big enough to do it. So this
21 is what's keeping coal from getting the full
22 value.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Big projects, lots of things that are
2 needed in there, more background on the kind of
3 steps you have to go through to get a big project
4 off the ground, it's going to cost you \$50 million
5 to do it. The bottom line is there is a huge
6 effort right now on focusing on what can the
7 Federal Government do to jump start the industry?

8 And the States are ahead of the Federal
9 Government in this regard. A lot of the States
10 are looking at putting in CO₂ pipelines to enhance
11 the ability for carbon storage. You've got feed
12 grants and other things like that going on in the
13 States.

14 On the federal level, the National
15 Mining Association has spearheaded a coal-to-
16 liquids coalition. That coalition includes all
17 the coal producers, all the CTL technology
18 providers. It has networked in a number of the
19 major user groups, the air transport people, the
20 motor carrier people, the railroad people, the
21 labor unions are all in this now. There is a half
22 a million dollars worth of ads running inside the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Beltway supporting coal-to-liquids to correspond
2 to the, I don't know, million dollars of
3 environmentalist ads that are going against this.

4 And there is a list of incentives that
5 are represented in these dozen or so bills that
6 are in play right now on Capitol Hill. And a
7 little more background if you want to know what
8 those different types of incentives would do.

9 The bottom line is, you know, energy
10 legislation is moving as we speak. In fact, it
11 will probably be on the floor at the Senate next
12 week and CTL has been front and center in all of
13 this. They have had bipartisan support. You've
14 both democrats and republicans who are both
15 looking at this. I can tell you right now that
16 carbon capture and storage will be a requirement
17 for anything that gets passed in this Congress for
18 incentives and just what that requirement looks
19 like is something that is being discussed right
20 now.

21 The policy concepts to watch, you know,
22 the extension of the excise tax credit. We've got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the ethanol industry started. There is a major
2 priority here getting the Department of Defense in
3 a position where they can buy this stuff in long-
4 term contracts, is a major push. And the other
5 one is what kind of mechanisms can we put in play
6 to alleviate that price risk?

7 In other words, if the price of oil
8 goes down in the future, can the Federal
9 Government step in and make the industry whole, so
10 that we can give Wall Street some assurance that
11 they will get paid back if we get there?

12 My take on this, we will have a coal-
13 to-liquids industry in this country. It's not a
14 question of it, it's a question of how fast. You
15 know, if the Federal Government does nothing,
16 Rentech will open their 1,800 barrel a day
17 facility in Illinois in the next couple of years
18 and then one of these 10,000 barrel a day projects
19 will get off the ground in North Dakota or Wyoming
20 or maybe West Virginia and it will run for a
21 little while. And then the next bigger one will
22 get built. And over a long period of time, this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industry will evolve just as a natural response to
2 what's happening with energy prices out there.

3 What the Federal Government can do from
4 an energy security standpoint is step in with some
5 of these assurances and compress that time frame.

6 All right. Get us to say look, we don't want to
7 wait for the next hurricane. We don't want to
8 wait for the next terrorist attack for oil prices
9 to go above \$100 before we have to act to do
10 something. Let's step in now and provide some of
11 these assurances, so we can get more of these
12 plants built quicker, get across that
13 commercialization gap and get this industry
14 started.

15 So, you know, it's time to build. It's
16 time to use an American resource to create
17 American jobs, keep American dollars here at home,
18 use the American resource to develop a clean
19 burning fuel that works in the existing fleet.
20 All right. This is gasoline, diesel fuel, jet
21 fuel, it goes into the existing engines with no
22 modifications to the existing distribution system.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 This is the Today-Gen equivalent to the
2 FutureGen of whatever we decide to do with
3 hydrogen or say ethanol or that kind of thing. So
4 with that, I'll wrap up.

5 CHAIRPERSON NELSON: Thank you, John.

6 (Applause)

7 CHAIRPERSON NELSON: Thank you, John,
8 very much. I'm afraid we don't have time for
9 questions for John. I'm sure he will be around if
10 you would like to catch him after the meeting.

11 At this point, it's really my pleasure
12 to introduce Mike McCall, who is Chairman and CEO
13 of TXU Wholesale, but importantly, is Chairman of
14 the Study Work Group that will be presented the
15 National Coal Council report to you today. This
16 is a critical piece of business for the Coal
17 Council and I would like to, as Mike comes up
18 here, say thank you, Mike, for a job well done.
19 You all have a copy of the report in front of you
20 and to your work group as well. Mike.

21 (Applause)

22 MR. McCALL: Thank you, Georgia. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 really just here as a representative of the group
2 that undertook this study. It was a tremendous
3 group and I'll have a few more things to say about
4 that in a moment or two in a slide or two. I
5 would ask you to look at the front cover that's
6 before you at your desk. I think we have provided
7 copies for everybody and just point out a couple
8 of things to you.

9 Those of you that remember your
10 chemistry class, you'll remember that the
11 depiction there is the CO₂ molecule. It has the
12 coal. Mike Mudd, I know was here earlier, I don't
13 see him in the audience now, but we stole the
14 picture of FutureGen as the picture of the power
15 generation station and obviously that power
16 flowing to a home.

17 And the other thing I would point out
18 from the cover is in the small font, we did depict
19 this as a study that really is going to seek to
20 help all of us understand better this evolution
21 toward a near zero emission coal producing or coal
22 burning power plants. And I think that's -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 really thought it was appropriate to put that sort
2 of commentary in the cover.

3 The industry has made great strides
4 really since the 1970 Clean Air Act to continue on
5 an ongoing basis to clean up the emissions,
6 improve the air quality and production and
7 efficiencies. And I think what this study
8 attempts to do is really speak to technologies
9 that are going to continue that evolution.

10 All right. If I could go to the
11 second, what is the right button to push, I
12 wonder? There we go. On the inside cover of the
13 presentation, we put some key thoughts. And I
14 couldn't help but think about this cover as Paul
15 was speaking this morning, this inside cover,
16 these -- this commentary. And you might think it
17 may be strong to say that coal must continue its
18 vital role.

19 And, Paul, I've been out on this
20 speaking circuit for the last year and a half
21 making a speech similar to your's. You know,
22 across this country we have built 300,000

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 megawatts of gas powered generation over the last
2 decade. It is the single reason that we have
3 higher electric prices, higher gas prices in this
4 country.

5 And I have been out saying, and I want
6 to change what I have said, that if you care about
7 energy security, if you care about energy
8 independence, then you want to find ways to make
9 coal usable in a fashion acceptable to the public.

10 And I think we need to add to that if
11 you care about American workers and you care about
12 American industry, and I think those need to be
13 added, because as you have so aptly described
14 today, this is a real important piece to the
15 American economy. It's real important to the
16 American workers that we solve this problem and we
17 find ways to use coal in a manner that is
18 acceptable to the public. I think we can and I
19 think we have a lot of education to do and a lot
20 of technology development to get that done.

21 Let me go on to this next page. Now, I
22 went backwards. We have -- we just included -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 only put this in there for a couple of -- for
2 really one or two important reasons. This whole
3 study started with a letter from the Secretary to
4 Georgia asking this be conducted. And the reason
5 I put this in here is really just to note that
6 this study follows on some real important work
7 that Fred Palmer and Greg Boyce led in the last
8 study really depicting how coal can be used in
9 greater amounts and to greater support of our
10 economy. And this was a follow on to that study
11 and other previous really quality work from the
12 organization and the Council.

13 Importantly, this was a study that
14 involved a lot of people and as I said at the
15 outset, this is something that I certainly can't
16 take very much credit for. It's really the people
17 that you see pictured here that I want to
18 recognize today. It's great -- as Bob Kane and I
19 were talking this morning, it's a great diversity
20 of engineers, scientists, folks from academia,
21 folks out of our -- out of the industry.

22 It's a great representation, but,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 particularly, I would note for each of the
2 chapters, you will note at the end of each chapter
3 we recognized those that contributed on those
4 particular chapters, but the chapter leaders who
5 really helped assemble each chapter, I would like
6 to recognize.

7 The first chapter was led by Fred
8 Palmer that looked at the whole context that we
9 are operating in. Dave Stopek led the second
10 chapter looking at the technologies for capturing
11 carbon. Tim Considine from Penn State University,
12 the next chapter on carbon management for coal to
13 products. Nancy Mohn from Austin did a great job
14 leading the chapter on CO₂ capture and storage.

15 Stu Dalton from EPRI, who is not with
16 us today, a great contribution on the technology
17 profiles and the trends of technology. Frank
18 Burke from CONSOL leading the chapter discussing
19 all the different groups that are engaged in the
20 technology development. And then finally, Connie
21 Holmes from the National Mining Association
22 leading the chapter discussed, the Energy Policy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Act of 2005.

2 Importantly though, I would like to
3 also recognize Bob Kane from DOE for his help, Bob
4 Beck from the Council along with Larry Grimes,
5 they were great coaches as the team went through
6 this effort. And then lastly, Roger Knipp from
7 our TXU group. Roger is with us today. I would
8 like to give all these folks a round of applause.

9 (Applause)

10 MR. McCALL: Tremendous work. On to
11 some key messages that we really see coming out of
12 the study. The coal industry really, I think,
13 stands ready to tackle this issue of carbon
14 dioxide. And we do it from a real strong footing.

15 We started with the Clean Air Act signed many
16 years ago. We have made tremendous progress on
17 removal of fine particles, sulphur dioxide,
18 nitrousoxides and today we're solving the issue of
19 mercury emissions. And I think that's the work we
20 can do around CO₂ can follow those strong steps of
21 our past.

22 I think it is important to recognize

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that the technologies to reduce carbon are still
2 in their early stages of development and are going
3 to need significant support, just as the -- our
4 fine speaker this morning from MIT said, I think
5 one of the serious conclusions out of the study is
6 that it is too early to pick any particular
7 technology winners.

8 And I think it also is worth noting
9 that we can't pick a winner, because different
10 coals, different locations, different geographies
11 are going to need different applications. And so
12 we're really going to need a broad spectrum of
13 technologies. And then for these technologies to
14 move into the main stream, the nation is really
15 going to have to act now to make it a reality.

16 We made some specific recommendations
17 in the report. You will see those in the
18 executive summary. And we made those
19 recommendations on the basis that we think the
20 U.S. Congress will adopt CO₂ mandates at some
21 point in the future. We did not spend any time
22 trying to argue, discuss or conclude as to what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the U.S. Government ought to do or when they ought
2 to do it, but we made an assumption that at some
3 point in the future, there will be carbon
4 mandates.

5 And on that basis, we think it's timely
6 that we go out and accelerate the deployment of
7 new technologies to improve the efficiencies of
8 all types of coal generation, as the good
9 professional from MIT thought this morning, that
10 we accelerate the development and demonstration of
11 deployment of CO₂ technologies for capture and
12 storage and that we recognize and really as I
13 think the -- again, as Dr. Deutch talked about
14 recognize that as we think about mandates, we have
15 to do it, those mandates need to be aligned with
16 the commercialization, the availability, the
17 affordability of those technologies.

18 We really, I think, would be doing a
19 real serious damage, Paul, to the U.S. economy if
20 we were to adopt mandates ahead of that technology
21 development. And if we don't fund the technology
22 development, but yet we adopt mandates that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not yet achievable, that would be a serious
2 consequence for the country.

3 Specifically, and I took some liberties
4 to just sort of boil down for you today, some of
5 the recommendations. I consolidated some just to
6 highlight some of the recommendations that are in
7 the report. We are strongly recommending that the
8 DOE work closely with other agencies like the EPA
9 to streamline the permitting processes, so that
10 companies can get on with adding new equipment to
11 improve the efficiencies of power plants, build
12 new power plants, some day install CO₂ reduction
13 equipment, all in the spirit of streamlining that,
14 so that we, the country, can really get on with
15 the notion of reducing these emissions.

16 Today we have a lot of competing
17 regulations. You heard Bill talk about it this
18 morning that I think and I think the industry
19 believes are standing in the way of environmental
20 improvements. So we have in some cases, and it's
21 sort of sad to say, environmental regulation that
22 stands in the way of real efficiency improvements,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 real environmental improvements.

2 And so what we are suggesting to the
3 Department is that they really take a concerted
4 effort to work with other agencies to help
5 streamline those. In some of the early press
6 reports, I saw some notion that the report was
7 suggesting that this report was going to suggest
8 that we do away with NSR. I don't think you will
9 find that in the report at all. That's not what
10 was intended.

11 It really is asking the Federal
12 Government agencies to work together so that the
13 industry can go out and make the kinds of
14 improvements that the public is asking us to do.

15 Similar to Dr. Deutch's comments, we
16 think, and you will see a number of
17 recommendations around carbon capture and
18 sequestration or storage, that work needs a lot of
19 our research development, deployment and so you
20 will see a number of recommendations around carbon
21 capture, including the regional organizations that
22 Secretary or Department Assistant Secretary Sell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 talked about, but around carbon capture, around
2 compression, around transportation of CO₂,
3 storage, monitoring, all those things you heard in
4 prior discussions this morning show up in the
5 report.

6 Thankfully when the good professor from
7 MIT comes, Janos, and suggests that that is
8 something desperately needed, I was glad to sit
9 here at my table and think well, it's good, our
10 report is aligned with his thoughts. And then
11 next, we have had a lot of good work going on in
12 FutureGen. Hopefully, the FutureGen Alliance will
13 be selecting a site later this year.

14 We think one of the things that would
15 be of strong interest to industry would be to
16 think about a demonstration project that would be
17 around an ultra-supercritical or an advanced
18 ultra-supercritical pulverized coal plant. I
19 think as was discussed earlier today, some people,
20 I think, had come to the view it has been broadly
21 expressed in the media that there is really only
22 one answer long-term to coal use and that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through an IGCC plant.

2 I think one of the things that the
3 report really comes to, a conclusion the report
4 comes to is that's probably not the case. That's
5 probably, in terms of picking winners, not the
6 case, but there is great promise for advanced
7 ultra-supercritical pulverized coal plants with
8 high efficiency in terms of something -- a
9 promising technology for the country.

10 And so we would suggest to the DOE that
11 we think about a corollary project, particularly
12 focused on getting the necessary alloys developed
13 and the components developed that can withstand
14 the high temperatures and pressures needed to
15 achieve those efficiencies and low emissions.

16 The other thing that I didn't include
17 in my quick summary, but I think it's important to
18 note is the Secretary explicitly asked that we
19 think about a framework of technology development.

20 And you will see that as you read through the
21 executive summary. There is a discussion of
22 framework.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And as we note in the executive
2 summary, it's a framework that is simple, but it's
3 difficult. And the framework really goes
4 something like this. In the near-term, as was
5 discussed earlier by other speakers, we ought to
6 focus on efficiency improvements. We ought to
7 focus on public policy initiatives that allow
8 efficiency improvements to happen, so that we can
9 make those adjustments in power plants, both new
10 and existing, particularly.

11 In the midterm, we ought to have strong
12 public policy support for new advanced clean coal
13 plants, both IGCC and advanced supercritical or
14 ultra-supercritical. And in the longer term, I
15 think the thing that we see and as other speakers
16 have said this morning, longer term, we're going
17 to have to put much focus on carbon capture and
18 sequestration to really resolve all those issue
19 that Dr. Deutch talked about this morning.

20 That concludes my brief summary of what
21 we have done. I would just take a moment to
22 remind the chairs that are here today, the section

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or the chapter chairs, we are going to have a
2 meeting, I think, formal Q&A session with the
3 media afterwards and I would like everybody to
4 stay that was -- participated in that fashion to
5 answer all the hard questions, because you're
6 going to be better prepared to do that than I will
7 be.

8 And so if you will do that, that will
9 be greatly appreciated. And as Roger was thinking
10 -- as Roger saw the last report, Fred, he noticed
11 there was a great quote on the back of the report
12 and Roger went out in search of a quote that would
13 be meaningful for this study and we found this.
14 Roger found this from Benjamin Franklin and I
15 think it really captures what we have here, "That
16 through energy and persistence, we can conquer
17 this issue of CO₂ much like we have other issues
18 the industry has dealt with.

19 Again, I appreciate everybody's help
20 and support on this. I think it's a great body of
21 work for the Council to put forward. Do we need
22 to make a motion?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRPERSON NELSON: We do. Would you
2 like to do it?

3 MR. McCALL: I would move that the
4 Council adopt this report.

5 PARTICIPANT: Second.

6 CHAIRPERSON NELSON: All in favor?

7 ALL: Aye.

8 CHAIRPERSON NELSON: Opposed?
9 Congratulations.

10 MR. McCALL: Thank you.

11 (Applause)

12 CHAIRPERSON NELSON: We have a question
13 or a comment.

14 MR. PALMER: I want to take this
15 opportunity to congratulate Mike as Chair and
16 Roger for all the hard work that has been done on
17 this report. I think it is an exciting report. It
18 has solid information in here that when you sit
19 down, if you care about the country, and I know
20 our legislators do, and you care about working men
21 and women, and I know our legislators and our
22 President do, and you care about affordable low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cost always available energy for the American
2 people, and I know our legislators and President
3 do, and we care about the environment and climate,
4 and I know our legislators and President do, then
5 the only path forward in terms of dealing with
6 coal, which we have to use more of, is identified
7 in this report.

8 And Mike's comments with respect to
9 mandates, and I think we will see mandates, hell
10 we have a Supreme Court that said we're going to
11 have mandates, it's going to be -- it has to be
12 longer term, the technology has to be, as you put
13 it, Mike, available, affordable and deployable
14 before we can have mandates, otherwise we have a
15 train wreck.

16 This report gives that guidance and
17 that path forward for this country and I want to
18 thank you personally, Mike, for your leadership
19 and your eloquence and, as I said I owe you
20 dinner, I owe you dinner. Thank you very much.

21 MR. McCALL: Thank you, Fred.

22 (Applause)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRPERSON NELSON: Well, I'll do it.
2 Thank you, a tremendous effort. And just to tag
3 on to Mike's comment, we will ask the chapter
4 leaders to come to the front of the room at the
5 conclusion of the meeting to answer questions for
6 the media.

7 We have one other housekeeping
8 announcement and that is about -- I think I can
9 probably -- you want to describe it? We at the
10 office here, the National Coal Council office in
11 Washington here, we have gone through, many of you
12 will relate to this, a server change and upgrade
13 and a computer upgrade and so we have had a few
14 glitches. We ask for your patience in that
15 process and we are hoping to get that taken care
16 of in the next couple of days.

17 Okay. Bob needs the microphone here.

18 MR. BECK: I apologize for
19 interrupting, but most of you know, because you
20 visited with him this morning, that George Rudins
21 is about to retire from the Office of Fossil
22 Energy over at DOE officially July 1st is his first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 day of retirement, so I guess June 30th is his last
2 day on the job. We don't have a resolution
3 prepared at this time, but I would like at least a
4 sense or maybe a motion from the floor, Jackie
5 Bird moves.

6 MS. BIRD: I move that we formalize a
7 resolution to honor George and all his significant
8 contributions to the coal and power industry over
9 the course of his career, which has benefitted, I
10 think, everybody in this room and beyond. And not
11 letting him walk into the sunset without our
12 gratitude.

13 MR. BECK: So moved. Do we have a
14 second?

15 PARTICIPANT: Second.

16 MR. BECK: Seconded. And what I will
17 do rather than take time here right now is just
18 task our Secretary, Mr. Grimes, to draft that up
19 and then to have Georgia sign it on behalf of the
20 Council and convey it to George before the end of
21 the month and he rides off into the sunset. Thank
22 you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRPERSON NELSON: Thanks, Bob.

2 (Applause)

3 CHAIRPERSON NELSON: Thank you. This
4 meeting is duly authorized and publicized as open
5 to the public. The public can submit comments to
6 the Department of Energy or if any individual
7 wishes to speak, they may do so at this meeting.
8 Those who wish to speak may do so at this time.
9 Does any member of the public wish to speak?

10 Okay. Let me announce that we hope to
11 hold the next full Council meeting in the fall of
12 2007, location likely Washington, D.C., and with
13 that, if there is no other business to come before
14 the Council, we stand adjourned. Thank you very
15 much.

16 (Applause)

17 (Whereupon, the full Council meeting
18 was concluded at 12:01 p.m.)

19

20

21

22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1

2

3

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701